

CANADA

PROVINCE OF NOVA SCOTIA

IN THE MATTER OF THE
FATALITY INVESTIGATIONS ACT
S.N.S. 2001, c. 31

THE DESMOND FATALITY INQUIRY

TRANSCRIPT

HEARD BEFORE: The Honourable Judge Warren K. Zimmer

PLACE HEARD: Guysborough, Nova Scotia

DATE HEARD: February 5, 2020

COUNSEL: Allen Murray, QC, Inquiry Counsel
Shane Russell, Esq., Inquiry Counsel

Lori Ward and Melissa Grant,
Counsel for Attorney General of Canada

Glenn R. Anderson, QC, Catherine Lunn and
Adam Norton, Esq.
Counsel for Attorney General of Nova Scotia

Thomas M. Macdonald, Esq., and
Thomas Morehouse, Esq.
Counsel for Richard Borden, Thelma Borden and
Sheldon Borden
Joint Counsel for Aaliyah Desmond

Tara Miller, QC,
Counsel for Estate of Brenda Desmond
(Chantel Desmond, Personal Representative)
Joint Counsel for Aaliyah Desmond

Adam Rodgers, Esq.
Counsel for Estate of Lionel Desmond
(Cassandra Desmond, Personal Representative)

Roderick (Rory) Rogers, QC, Karen Bennett-Clayton
and Amanda Whitehead,
Counsel for Nova Scotia Health Authority

Stewart Hayne, Esq.
Counsel for Dr. Faisal Rahman and Dr. Ian Slayter

INDEX

<u>February 5, 2020</u>	<u>Page</u>
<u>DR. FAISAL RAHMAN</u>	
Cross-Examination by Mr. Rogers	6
Cross-Examination by Ms. Miller	33
Cross-Examination by Mr. Rodgers	77
Cross-Examination by Mr. Hayne	102
Examination by The Court	119
Cross-Examination by Mr. Macdonald	121
DISCUSSION	122
Examination by The Court	123
Re-Direct Examination by Mr. Murray	129
DISCUSSION	139

EXHIBIT LIST

<u>Exhibit</u>	<u>Description</u>	<u>Page</u>
P-000112	Inquiry Document 68 - Security Video from Leaves & Limbs - January 3, 2017	123

1 February 5, 2020

2 COURT OPENED (10:02 HRS.)

3

4 THE COURT: Good morning.

5 COUNSEL: Good morning, Your Honour.

6 THE COURT: Dr. Rahman, could you return to the stand,
7 please? Good morning. Dr. Rahman is still under oath. He was
8 excused yesterday afternoon at the close of the evidentiary
9 session.

10 Mr. Rogers?

11 MR. ROGERS: Thank you, Your Honour.

12

13

14

15

16

17

18

19

20

21

22

1 **DR. FAISAL RAHMAN**, previously affirmed, testified:

2
3 **CROSS-EXAMINATION BY MR. ROGERS**

4
5 **MR. ROGERS**: Dr. Rahman, I introduced myself to you
6 earlier this week. I'm Rory Rogers, counsel for the Nova Scotia
7 Health Authority. Good morning.

8 **A.** Yes, good morning.

9 **Q.** Doctor, you indicated in your testimony yesterday that
10 on the night of January 1st there were beds available on the
11 psychiatric ward or the Mental Health and Addictions Ward on the
12 third floor of St. Martha's Hospital. Is that correct?

13 **A.** Yes, correct.

14 **Q.** And it may be obvious given your position, but can you
15 tell us why it is you were aware that there were beds available
16 on the third floor of St. Martha's that night of January 1st?

17 **A.** Because I was on call and usually the on-call person
18 is aware of how many beds do they have on the inpatient
19 psychiatric unit. I think that was the reason ...

20 **Q.** Okay. Thank you.

21 **A.** I knew about it.

22 **Q.** Now in addition to that you also referenced yesterday

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 that even if there were not beds available - I appreciate that
2 you testified that there were - that in any event there's a
3 provincial policy which you described as psychiatric beds
4 available on a provincial level. What do you mean by that?

5 **A.** Yes. So that happens regularly, not only in St.
6 Martha's in our Eastern Zone but all across Nova Scotia
7 hospitals, that psychiatry beds are provincial beds. So in case
8 a patient needs to be hospitalized or needs to stay in the
9 hospital and there's no bed available in that particular
10 facility we will find a bed for that person in the province.

11 **Q.** Is that's what's referred to as the patient flow bed
12 management system?

13 **A.** Yes.

14 **Q.** So if a patient needs a psychiatric admission at St.
15 Martha's and there are no beds available what's the process for
16 them determining how to access a psychiatric bed elsewhere in
17 the province?

18 **A.** So now we have this process and system that there's a
19 central number that we call and they keep the numbers to keep
20 the tabs where are the beds available. And we get the
21 information from them and then we contact the specific facility.
22 This is more formal now, but even in the past, in the last 15

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 years, even when the system was not there the psychiatrist used
2 to contact different hospitals nearby and talk to the on-call
3 psychiatrist themselves and used to make sure that if there's a
4 bed available we would (unclear).

5 Sometimes there's no bed available in the province. Then we
6 keep people in the emergency room or somewhere safe where they
7 can be monitored safely until there's a bed available.

8 **Q.** Thank you, Doctor. And yesterday you testified that
9 as a result of that availability of psychiatric beds at a
10 provincial level there are three patients from Halifax who are
11 currently in St. Martha's. Is that through the process you
12 indicated?

13 **A.** Absolutely, yes.

14 **Q.** And you talked about admitting somebody to a
15 psychiatric ward or a mental health and addictions ward. Is
16 there a provincial-wide policy with respect to admissions
17 criteria into psychiatric wards?

18 **A.** Yeah, there's criteria, but usually if a psychiatrist
19 assesses the patient and we talk to the other psychiatrist where
20 there's a bed available we have a discussion. And usually one
21 psychiatrist decides. The other psychiatrist reciprocates. And
22 it's the (honour?), also, to kind of take on the care of the

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 patient.

2 So it's a professional courtesy, also, that if somebody has
3 ... a psychiatrist has assessed a patient and if they need an
4 inpatient hospitalization, usually that's what is needed
5 provided the bed is available elsewhere, and the psychiatrist at
6 the other facility most of the time accepts the patient.

7 **Q.** Thank you, Dr. Rahman. Next, we know that Lionel
8 Desmond on January 1st of 2017 came into St. Martha's Emergency
9 Department presenting with a mental health issue, but in your
10 testimony yesterday you referenced an alternative means of
11 obtaining some assistance or help and you referenced a
12 provincial telephone crisis service. Can you tell the Inquiry
13 what that is?

14 **A.** Yeah, we have a crisis service, a mental health crisis
15 line, available now since last year. Not exactly sure about the
16 date, but there's a phone number where patients can call, or
17 anybody can call, if they're in crisis if they need mental
18 health. Or they have option to present to any emergency room
19 near by or call 9-1-1. But there's a specific number for mental
20 health crisis now.

21 **Q.** And so that's a 1-888-number?

22 **A.** Yes, 1-888, yeah.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 **Q.** And that links them to what service and what trained
2 personnel, to your knowledge?

3 **A.** Well, I think the personnel there are social workers
4 and therapists and maybe some nurses also. I'm not sure of the
5 specific complement of the staff there but they are
6 professionally well trained in mental health issues. They
7 receive the call and they discuss the patient's situation and
8 sometimes patient just need to talk to somebody. Issues are
9 resolved.

10 And then they decide, advise and recommend the individual
11 who is calling about the disposition plan, that could we go to
12 the ER or come to the hospital. Or probably they just ... it is
13 all it would be and then ... or they can be referred to
14 outpatient mental health in the area where they are calling
15 from.

16 **Q.** So that service is then available 24/7?

17 **A.** Yes.

18 **Q.** And it's staffed with specialized staff with mental
19 health training. Is that fair?

20 **A.** I believe so.

21 **Q.** Okay. Thank you.

22 You also referred at some length yesterday to an evolution

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 in process by which paper records in mental health and
2 addictions have been digitized or made available in an
3 electronic format. How long has that process been ongoing to
4 take mental health and addiction paper records and converting
5 those into a means to have them available electronically?

6 **A.** I think it's still in the process. It has been going
7 on for as long as I can remember, a couple of years, and it's
8 called Provincial Scanning Project. I think we are launching it
9 in spring of 2020 with full force, I believe. So I don't know
10 the specifics, again, how long it's going to take, but the
11 process has started. Some of the charts have been scanned.

12 Like, as I told yesterday, that I think mid-2017 this has
13 been happening, but not all charts are electronic. They are
14 moving towards electronic charting. A lot of charts have been
15 scanned so I think it's in the process. I don't know the
16 specifics.

17 **Q.** So is it fair to say that some of those paper mental
18 health and addiction records have over the past approximately
19 two years been moved into an electronic format?

20 **A.** Absolutely.

21 **Q.** And at some point this year the plan is to go live or
22 have all of the paper mental health and addictions records in

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 the province available electronically. Is that your
2 understanding?

3 **A.** That is my understanding.

4 **Q.** Okay. And so when we think of the type of records
5 you're talking about you referred yesterday to the consult note
6 of Dr. Slayter from Lionel Desmond's visit on December 1 of 2016
7 and that was the record, I believe you said, you had an
8 opportunity to review before you went down and saw Lionel
9 Desmond on the night of January 1st? Is that correct?

10 **A.** Yes, correct.

11 **Q.** And that record, that note that was prepared by Dr.
12 Slayter, is that one of the types of paper records from mental
13 health and addictions that either now has been scanned and made
14 available electronically or will be some time this year?

15 **A.** Yes, I believe so. This is my understanding.

16 **Q.** I think I said December 1st. It may be December 2nd
17 but that's the note that you saw. Correct?

18 **A.** December 2nd, yeah.

19 **Q.** Thank you.

20 **A.** And I should add that previously we used to have,
21 like, inpatient charts when we had to dictate them. We had to
22 get a physical chart and go through the chart in order to

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 dictate the chart summaries. So now, because I do inpatient
2 mostly, now I can sit in my room on my computer. I can put in
3 the number, the record number, and the whole chart is scanned in
4 the computer.

5 So that's a real advantage for me to just sitting in my
6 room. You know, I don't have to go anywhere. And the whole
7 chart. Whether it's handwritten notes, nursing notes and
8 occupational therapy notes, I believe, are in the system. They
9 are typed already in the system, but the other physician notes
10 and some of the other stuff which is handwritten is also
11 scanned. So that's what I have seen in the last couple of
12 years.

13 **Q.** And, Dr. Rahman, the Inquiry has heard reference in
14 some detail to the plan for One Patient One Record, an
15 electronic chart that would be available ...

16 **A.** Yeah.

17 **Q.** ... more generally. Is the process that you've
18 described - taking the mental health and addictions records and
19 having that available in electronic form - separate and distinct
20 from the goal of moving to One Patient One Record?

21 **A.** I think it is moving toward One Patient One Record.

22 **Q.** Okay.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 **A.** I think these are the steps.

2 **Q.** Okay. Thank you.

3 **A.** Yeah.

4 **Q.** You also made reference to the mental health crisis
5 team at St. Martha's.

6 **A.** Yeah.

7 **Q.** And you identified that currently that service is
8 available with specialized staff and psychiatrists typically on
9 a 9 to 6 basis. Correct?

10 **A.** The crisis team with the psychiatrist but there's an
11 on-call psychiatrist 24/7.

12 **Q.** Sure, and I'll talk about the psychiatrist in a
13 moment, but in terms of the availability of the service at 9 to
14 6, that's the availability of the specialized staff, either a
15 nurse with special mental health training or social workers with
16 mental health training. Is that correct?

17 **A.** Correct.

18 **Q.** And I think yesterday you indicated that currently at
19 St. Martha's the mental health crisis team has a complement of
20 three specialized staff. Is that correct?

21 **A.** Yes. Yeah.

22 **Q.** At the time of Mr. Desmond's visit to the Emergency

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 Department in January of 2017 was the complement smaller?

2 **A.** I don't have the recollection. I think there were
3 three people.

4 **Q.** Okay.

5 **A.** Two or three. Yes, that's what I remember.

6 **Q.** And we probably will have some evidence in terms of
7 the change ...

8 **A.** Yeah.

9 **Q.** ... in complement, but is it your recollection that
10 the complement has evolved from one specialized staff at one
11 point ...

12 **A.** Yes.

13 **Q.** ... now to three?

14 **A.** Yes, absolutely. I remember the times when we did not
15 have any crisis team.

16 **Q.** Yes.

17 **A.** So the psychiatrist used to be ... we used to be on
18 call during daytime also, and the ER or anybody would call us
19 directly and it used to be quite difficult if you're doing
20 inpatient or if you book patients in the outpatients and then
21 there's an emergency call on top of that. The crisis team, then
22 we had a crisis worker, with one worker, and then I think we

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 increased to two and now we have three. We currently have two
2 working. The third one is on medical leave right now but I
3 think we are trying to ... working on that and depending upon
4 ... but the position is there. So we have evolved in that way.

5 **Q.** With that increase of the specialized staff complement
6 from one to three, there's been an associated increase in the
7 hours of availability of the service to what it currently is to
8 9 to 6. Correct?

9 **A.** Not necessarily. I can say yes, I think it used to be
10 until 5 or 4. It's now until 6, number one. Number two is that
11 not three of them are working as a crisis at the same time. It
12 depends. One or two is. Depending on how busy we are, one or
13 two are working in crisis. And we also have something which is
14 called Urgent Care Clinic that we started.

15 So Urgent Care Clinic would be the one that if the crisis
16 sees somebody and they feel that these patients can be managed
17 and not required to be there for outpatient mental health ...
18 some of them are situational crisis or somebody who needs short-
19 term interpersonal therapy or cognitive behaviour therapy on a
20 short-term basis.

21 Urgent Team can see these patients a few times, two or
22 three times, to resolve the issue and diffuse the situation. In

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 case they need to be seen more or on more regular basis or on
2 long-term basis, then these patients are referred to outpatient
3 mental health.

4 So in this way, it has made a difference in the workload
5 and the wait times for outpatient mental health staff who
6 actually need to see people, who actually see people who really
7 need to be seen.

8 Q. Yeah. Earlier in response to my questions you
9 indicated that in addition to the specialized staff, the nurses
10 and the social workers in the mental health crisis team, there's
11 also availability of a psychiatrist. Is that the case
12 currently?

13 A. Yes.

14 Q. Was that the case in January of 2017 when you came to
15 see Mr. Desmond?

16 A. Yes.

17 Q. So if in the evening hours after the mental health
18 crisis team is not available, or on weekends or holidays, has a
19 psychiatrist always been available on call?

20 A. Yes.

21 Q. And then the relationship between the mental health
22 crisis team and emergency department, describe what that

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 relationship is, if you would, Doctor. Is it a consult service
2 that the crisis team provides to the Emergency Department?

3 **A.** Yes. So with consult service, our crisis team is a
4 consult service also. So when the patient comes in they are
5 triaged and just seen by the ER physician first and then if the
6 ER physician feels that there is a need for crisis team or
7 mental health services to get involved after medically clearing
8 the patient and so forth, then we are consulted.

9 The crisis team, if they're available, they are typically
10 the ones who see the patient. Then the crisis team member works
11 with the ER physician to plan disposition and treatment and
12 disposition. But if the crisis team worker alone or in
13 collaboration with a ER physician feels that a psychiatrist
14 needs to see a patient, then a psychiatrist consult is generated
15 and we are called and we go down and see the patient.

16 I should clarify one thing that ... this has been mentioned
17 in the past also. Psychiatrist on call 24/7. We have three
18 psychiatrists and we have three family doctors who work with us
19 in our call schedule at St. Martha's. These three family
20 doctors have been doing psychiatry calls for more than 20 years
21 almost. They are very experienced and has special interest in
22 mental health and psychiatry. They are very much trained in

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 that.

2 But they're not alone. There's always a psychiatrist
3 behind them. So, for example, I am the one who is always on
4 call with them in case they have any issue or in case they have
5 any problem. They can always call me. And I'm available. That
6 very rarely or seldom happens that I really need to come to the
7 hospital but I'm available on the phone. If they ask me to need
8 to come to the hospital I will come in but they're so
9 experienced and they're so well versed with psychiatric
10 emergencies that we hardly need to come in. But there's
11 psychiatric backup.

12 So three psychiatrists plus three family doctors. This has
13 been in place for a couple of decades now.

14 **Q.** Dr. Rahman, you also indicated in your testimony
15 yesterday that you were familiar with the mental health crisis
16 team service that's provided in at least two other areas. You
17 referenced Sydney, that has some slightly additional coverage
18 over and above what's available currently at St. Martha's, and
19 you referenced Halifax also having availability. Is the
20 determination as to what services are available driven in part
21 by the need and the demand?

22 **A.** I think that comes into consideration. Sydney,

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 because I am the zone ... I work in those zones. So Sydney is
2 until 9 p.m. and it's over the weekend and over holidays also.
3 And it's a relatively busy ER in Cape Breton Regional Hospital.
4 And psychiatry is all stationed. The ER is in Cape Breton
5 Regional. And Halifax is busy and they have crisis team also.

6 **Q.** And given your zone responsibilities, would you be
7 involved in dialogue and assessment as to whether there is a
8 need or benefit to allocate more mental health and addictions
9 resources to mental health crisis teams? Is that something
10 that's part of an ongoing consideration and assessment in terms
11 of allocation of resources?

12 **A.** Yes. I have been part of all the negotiations from
13 not having any crisis team up until now that we have three.

14 **Q.** Okay. Thank you.

15 Mr. Murray asked you a number of questions that gave rise
16 to you referencing the Nova Scotia Health Authority's suicide
17 risk and assessment policy, and when Mr. Macdonald asked you
18 some questions there was specific reference to that document.
19 And at various times in your evidence I think you referenced the
20 policy as being either 2007 or 2017. It was a 2017 policy,
21 correct?

22 **A.** Yes, 17. Yes.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 **Q.** Okay. Could we pull up, please, that exhibit, which
2 is Exhibit 105? Do you see that in the screen in front of you,
3 Dr. Rahman?

4 **A.** Yes. Yeah.

5 **Q.** So we see that this is titled Mental Health and
6 Addictions Policy and Procedure Suicide Risk Assessment
7 Intervention, which is abbreviated SRAI, monitoring and
8 management for mental health and addictions?

9 **A.** Correct.

10 **Q.** And we see an approval date of April 26th, 2017 and an
11 effective date of June 30th, 2017?

12 **A.** Yes, correct, yeah.

13 **Q.** Is that accurate that this would be the approval and
14 effective date of this policy?

15 **A.** I believe so, but I know that we had to train staff
16 and it was not implemented until September, at least September
17 of 2017.

18 **Q.** Okay, so given that Mr. Desmond's admission or visits
19 to St. Martha's was on January 1 and 2 of 2017, this policy
20 would not yet have been in effect. Is that fair?

21 **A.** That's correct.

22 **Q.** And I want to take you to the provision as to who this

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 policy applies to and you'll see that in the title box. And it
2 says, "Applies to mental health and addictions licensed
3 healthcare providers trained to complete the suicide risk
4 assessment." Is that an accurate description as to who this
5 policy applies to?

6 **A.** Yes. Yeah.

7 **Q.** So it is to specialized mental healthcare providers.
8 Fair?

9 **A.** Correct.

10 **Q.** And just to clarify that, if we go to the next page,
11 page 2 of that document, if we look under the heading of Policy
12 Statements. If we scroll down a bit.

13 **A.** Yeah.

14 **Q.** We see that it's referenced, "Licensed healthcare
15 providers," which is defined as LHP, "must assess patients/
16 clients for risk of suicide." And then if you scroll down to
17 number 2 we see it states: "When screening for suicide risk
18 reveals a patient is at risk of suicide, then a SRAI must be
19 assessed completing the SRAI tool by and limited to the
20 following licensed healthcare providers (LHPs)." And it
21 references registered nurses, physicians including
22 psychiatrists, psychiatry residents, social workers. And over

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 on the next page psychologists and any other clinician who is
2 responsible for the independent practice of a mental health
3 assessment.

4 **A.** Correct.

5 **Q.** And so we see that this is aimed at what's defined as
6 licensed healthcare providers. Is that fair?

7 **A.** Yes.

8 **Q.** And then in terms of a definition of who's a licensed
9 healthcare provider, can we flip to the definition section which
10 is at page 11 of the document? And at the very bottom of that
11 page is the definition of "licensed healthcare provider".

12 **A.** Mm-hmm.

13 **Q.** And we see, Dr. Rahman, that it defines that licensed
14 healthcare provider, or LHP, as registered nurses,
15 psychiatrists, psychiatry residents, social workers,
16 psychologists, and any other clinician who is a member of a
17 self-regulated health profession. And these are the key words I
18 want to take you to: "... who is responsible for independent
19 practice of mental health and addictions assessment, treatment,
20 planning, and discharge from out-patient or community-based
21 mental health and addictions."

22 So, again, is it fair to say that this policy is aimed at

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 individuals in mental health and addictions with that
2 specialized knowledge and training in mental health issues?

3 **A.** It looks like that to me.

4 **Q.** Okay. Thanks. Then can we go back to page 3 of the
5 document? Under section 2.1, Dr. Rahman, it says: "All
6 licensed healthcare professionals identified in 2 above (that I
7 took you to a moment ago) must complete a training session on
8 the SRAI policy and SRAI tool."

9 In your testimony yesterday I think on one, maybe even two,
10 occasions you made reference to 94 percent of certain staff who
11 have training in this suicide assessment or suicide tool.

12 **A.** Yes.

13 **Q.** Is that reference you made to 94 percent in relation
14 to this indication of the need for training to be completed for
15 those healthcare professionals with that specialized training in
16 mental health and addictions?

17 **A.** I am not sure. My understanding, it's the mental
18 health staff, mental health and addictions staff. Licensed
19 health professionals, LHP, I don't know what the ... the ER
20 staff is included in that, all hospital included in there? I
21 need some clarification on that.

22 **Q.** I didn't see in the definition of this policy that it

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 was applying to ER staff. I thought it was applying to
2 specialized trained ...

3 **A.** Yes. Yeah.

4 **Q.** ... mental health staff.

5 **A.** So if that's the part, so LHP would be, then,
6 affiliated with the mental health and addictions. And that
7 would be my understanding, 94 percent of psychologists and
8 social workers and people who are affiliated with the mental
9 health and addictions services who have direct dealing with the
10 clients or would be trained for that.

11 **Q.** So when you talked about that 94 percent of
12 individuals who are trained those are mental health and
13 addictions personnel who have been trained in this policy and
14 the SRAI tool we'll talk about in a moment? Is that your
15 understanding when you referenced that training yesterday?

16 **A.** Yes.

17 **Q.** Okay.

18 **A.** Yeah.

19 **Q.** You talked yesterday ... and if we can scroll down to
20 item number 4 on the same page.

21 **A.** Yeah.

22 **Q.** This indicates that patient-client personal health

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 information can be disclosed without patient consent if there is
2 reasonable grounds to believe that sharing this information will
3 avoid or minimize an imminent or significant danger to any
4 patient or client. 4.1 says all patients, clients must be made
5 aware of this at the outset of any MHA contact. Disclosure
6 could be to family, police, or others involved in a
7 patient's/client's care.

8 You referenced in your testimony yesterday certain
9 circumstances where information of a personal health information
10 could be disclosed despite the normal privacy requirements. Is
11 this a reference to that?

12 **A.** Yes. Yeah. (Unclear) trumps all this.

13 **Q.** Okay. Then can you turn next to page 5 of the same
14 document? And section 2.2. 2.2, Dr. Rahman, is entitled
15 Assessment For Suicide Risk To Be Conducted by LHPs, or licensed
16 healthcare professionals, in MHA or mental health and
17 addictions.

18 **A.** Mm-hmm.

19 **Q.** So is it your understanding under this policy that
20 suicide assessment is to be undertaken by those specialized
21 mental healthcare providers?

22 **A.** Yes.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 **Q.** And that's part of what you did in relation to your
2 assessment of Mr. Desmond on January 1 of 2017.

3 **A.** This tool was not available then.

4 **Q.** I understand.

5 **A.** But a similar help, there's a similar kind of suicide
6 risk assessment. Tools had been available through all in the
7 mental health and addictions services for a number of years.

8 **Q.** And as part of what you did on January 1st was a
9 suicide assessment or risk assessment. Fair?

10 **A.** Yes.

11 **Q.** Then if we flip over to page 15 we see an Appendix B
12 to this policy that describes suicide risk ...

13 **A.** Mm-hmm.

14 **Q.** ... monitoring level?

15 **A.** Yeah.

16 **Q.** And it flags the three types of risk that I think you
17 talked about in general terms, and you see the words that they
18 use here were low, moderate, and high. Those are sort of the
19 three standards that you referenced in your testimony yesterday.
20 Correct?

21 **A.** Yes, correct.

22 **Q.** Then the last document I want to take you to this is

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 what is at page ... may not have a page on the document. It's
2 the last page of this exhibit. So this is titled The Suicide
3 Risk Assessment and Intervention Tool, and there's a checklist
4 there. Is this what's referred to as the SRAI tool?

5 **A.** Yes, correct.

6 **Q.** And I appreciate this only came into effect sometime
7 in the middle of 2017. I understand from your testimony earlier
8 that there was a previous iteration of this that had been used
9 prior to this version.

10 **A.** Yes.

11 **Q.** And this version we see talks about interview risk
12 profiles, individual risk profiles, and various other headings.
13 Correct?

14 **A.** Yeah.

15 **Q.** And I know there had been some questions that had been
16 put to other witnesses with respect to whether there was any
17 consideration of access to guns or lethal methods. If you look
18 under the heading Interview Risk Profile is there a tick-box
19 that makes reference to that?

20 **A.** Yes.

21 **Q.** That's the one that says, "Access to lethal means"?

22 **A.** Yes. Yes, I ...

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 Q. Okay.

2 A. ... see that.

3 Q. In response to questions put to you yesterday, my
4 recollection is you indicated that it's not simply a question of
5 looking how many ticks or checks are in a particular box, but
6 it's necessary for you as a psychiatrist or anyone using this
7 tool to exercise their clinical judgment in making any
8 determinations or assessments? Is that fair?

9 A. Yes, right.

10 Q. So it would be fair to describe each of these boxes as
11 prompts or a mechanism to ensure that there was dialogue or
12 discussion about those areas as part of any interview with
13 someone presenting with mental health issues?

14 A. Yes, that is my understanding, yeah.

15 Q. And just to compare this to the one that we do see in
16 the St. Martha's records. If we go to Exhibit 67 and page 15
17 through 17 of the formal exhibit ... and that's one number off
18 from the number at the top of the page.

19 **THE COURT:** Just going to stop you for a second, Mr.
20 Rogers. We have documents and some of the documents you'll see
21 when they were entered electronically into the database that we
22 use, that you have, some of the documents that the Inquiry

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 entered, it was necessary to create page numbers for those
2 documents, and so this is for all counsel.

3 When you see a document like Exhibit 67, if you could, I'm
4 going to ask you to ignore any other page number except for the
5 page number in the top left-hand corner that we've entered so
6 that we can all be consistent on those documents. Some
7 documents may have ... and you might have a page 2. But that
8 particular document, our page 2 number, top left corner, it
9 doesn't necessarily relate to the bottom page number. And
10 there's a reason for it because of how we deal with selected
11 documents and how they're given exhibit numbers, like,
12 throughout the course of these proceedings.

13 So if we could try and remember to do that that would be
14 helpful. Sorry.

15 **THE CLERK:** Excuse me, Your Honour, also I would note
16 page 7 is a lighter copy of the document and it may be easier to
17 read.

18 **MR. ROGERS:** I had just been flagged that by my
19 colleague. So we would go to page 7, and thank you, Your
20 Honour, we will refer not to the page number that was entered on
21 our version but the Inquiry number. So we'll be ...

22 **THE COURT:** Thank you.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 **MR. ROGERS:** ... looking at page 7. So if you look ...
2 Maybe we can go just to look at the entire page if we could.

3 **A.** Mm-hmm.

4 **Q.** And so you see this is a Nova Scotia Health Authority
5 mental health and addictions crisis response service mental
6 health risk assessment, and we see that it appears to be a
7 three-page document. Could we flip to page 8 for a moment? And
8 then to page 9. And we go back to page 7.

9 So we see this was a risk assessment that was completed in
10 October 24, 2016 and is it fair to say this was the form that
11 was in place at that time?

12 **A.** Yes, correct.

13 **Q.** And then if we go to page 9. And scroll out, if you
14 could, to the whole page. We see at the bottom, Dr. Rahman,
15 there's a box that also has a checklist of various items and
16 it's titled Suicide Risk Assessment. Is this the version of the
17 suicide risk assessment tool that was in place as of, I guess,
18 October of 2016 through to and including January of 2017?

19 **A.** I believe so.

20 **Q.** Okay.

21 **A.** Yeah. Yeah.

22 **Q.** And the version I took you to a moment ago in the 2017

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 represents a revision or enhancement to that policy and that
2 check-box. Is that fair?

3 **A.** Yes.

4 **Q.** Okay.

5 **A.** And I think there is some change in the form. So it's
6 more in-depth and detail.

7 **Q.** Okay.

8 **A.** The new form.

9 **Q.** And do you have any knowledge as to whether there is
10 work ongoing currently with respect to that form to even add
11 more requests for information or to elaborate on that form or is
12 that something you're able to comment on?

13 **A.** I don't know.

14 **Q.** Okay.

15 **A.** Wouldn't be able to comment. I should clarify
16 yesterday. There is no risk for homicide in the new form and in
17 this form. I thought there is one but there is none.

18 **Q.** Okay.

19 **A.** So I just wanted to clarify from yesterday's
20 statement.

21 **Q.** Thank you, Dr. Rahman. Those are all my questions.

22 **A.** Thank you.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rogers

1 **THE COURT:** Doctor, if either the old form or the new
2 form doesn't have provide particular direction with regard to
3 questions in relation to a homicidal risk how do you deal with
4 that?

5 **A.** We usually ask patients directly, Your Honour.

6 **THE COURT:** Do you ...

7 **A.** That is part of the standard psychiatric assessment.
8 They're not there but that's a standard assessment.

9 **THE COURT:** That's your standard assessment but it's not
10 the standard ... it doesn't come from the tool. It comes from
11 practice.

12 **A.** Correct.

13 **THE COURT:** All right. Thank you. Sorry, Ms. Miller?

14 **MS. MILLER:** Thank you, Your Honour.

15

16 **CROSS-EXAMINATION BY MS. MILLER**

17

18 **MS. MILLER:** Dr. Rahman, we met yesterday. My name is
19 Tara Miller and I am counsel representing Brenda Desmond ...

20 **A.** Yes.

21 **Q.** ... Corporal Desmond's mother, and also Aaliyah
22 Desmond ...

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **A.** Yes.

2 **Q.** ... that I'm sharing with my friend Mr. Macdonald.
3 His daughter.

4 I'm going to just pick up on a few questions Mr. Rogers for
5 the Nova Scotia Health Authority had asked you with respect to
6 Exhibit 105. That is, I understand it, the new policy that was
7 implemented effective June of 2017?

8 **A.** Correct, yeah.

9 **Q.** This applies to, as I understand, licensed healthcare
10 providers who have specialized training in mental health.
11 Correct?

12 **A.** Correct, yeah.

13 **Q.** But it also includes information, as I interpret it
14 ...

15 **A.** Yeah.

16 **Q.** ... if you look at page 5 of the 17-page document. It
17 also talks about initial suicide screening. I can take you to
18 that page at section 2, Suicide Risk Screening and Assessment.
19 So it says, "Screening for suicide risk can be completed by any
20 staff member working in a direct care role of a patient or
21 client."

22 Is it my understanding or assumption that means that

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 anybody in contact with a patient is able to do initial
2 screening for risk, whether they have specialized training or
3 not? And if they identify issues, then it gets referred to the
4 licensed healthcare providers with the more specialized training
5 to do the risk assessment?

6 **A.** Yeah, that's ...

7 **Q.** That's correct?

8 **A.** That is my ...

9 **Q.** Okay.

10 **A.** ... understanding, yeah.

11 **Q.** And is there any guideline for screening criteria for
12 suicide risk that can be completed by any staff member? I don't
13 see anything like that in this document. Is there another
14 document that would give criteria guideline tools for screening
15 for the suicide risk that any staff member can complete?

16 **A.** I am not aware of that. I work in inpatient mostly.
17 So when patients are discharged I know that we have LPNs and RNs
18 on the unit and this is something that maybe nursing would be
19 able to tell you better. But when a patient is going home,
20 like, a day, say that only RNs can do the suicide risk
21 assessment tool with the patient, not the LPNs.

22 **Q.** Mm-hmm.

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **A.** So there is a little bit of a difference somehow. I
2 don't know what LPNs can do, but LPNs, they are the ones ... any
3 staff member will be the ones who will do suicide screening or
4 suicide risk.

5 **Q.** Okay, but my ...

6 **A.** And I think that would be something that when we are
7 working in a multi-disciplinary team ...

8 **Q.** Yes.

9 **A.** ... and interacting with patients all the time at
10 whatever level of contact, if there's any indication of any
11 thoughts of harming oneself or harming others, that it's ... in
12 mental health professions it is part of the discussion. It's
13 always in the back of your mind if that risk is there or not.

14 **Q.** I appreciate that.

15 **A.** So they are somewhat trained in that and I think they
16 know what to ask.

17 **Q.** But that is the heart of my question in terms of this
18 document.

19 **A.** Yeah.

20 **Q.** And my question being, is there another document that
21 identifies what the results of the suicide screening should be,
22 like what material should be covered. So if you look at ...

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **A.** Mm-hmm.

2 **Q.** ... 2.1.2 ...

3 **A.** Yeah.

4 **Q.** ... there's an onus on any staff member to document in
5 the health record the results of the suicide screening.

6 **A.** Yeah, yeah.

7 **Q.** Is there a tool, is there a form or is this something
8 that just is done in practice and is intuitive to an individual?

9 **A.** I'm not aware of that.

10 **Q.** You're not aware of that, okay.

11 **A.** Cannot answer this question, yeah.

12 **Q.** When it does get to a stage where a suicide assessment
13 is to be done, and that is what my friend reviewed with you,
14 would be restricted to licensed health care providers of mental
15 health training, I understand from this document there's two
16 components to that. There's this suicide risk assessment and
17 intervention tool which is the final page that we looked at, the
18 checklist.

19 **A.** Yeah.

20 **Q.** But there's also a form. Is that correct? There's a
21 more detailed form that's being worked on? I wasn't sure if I
22 understood your evidence on that point, Dr. Rahman.

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **A.** More detailed form?

2 **Q.** Yeah.

3 **A.** Okay, yeah.

4 **Q.** And so just to help orient you, if we go back to
5 Exhibit P67, and this is the three-page crisis response service
6 mental health risk assessment form at page 7 to 9. That three-
7 page document, which we understand was in place and would've
8 applied in terms of Mr. Desmond's care, on page 9, that includes
9 a suicide risk assessment at the very bottom, the bottom third,
10 but it's a detailed form that obtains collateral information in
11 advance of ...

12 **A.** Oh yeah, okay.

13 **Q.** That's what I mean.

14 **A.** Okay.

15 **Q.** Is there another document that goes along with this
16 new policy in addition to the actual tool?

17 **A.** Oh, absolutely.

18 **Q.** Okay.

19 **A.** Yeah, yeah. You mean, you're talking about the whole
20 form.

21 **Q.** Correct.

22 **A.** Like which the crisis nurses, they use?

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **Q.** Correct.

2 **A.** This tool is part of that form at the end.

3 **Q.** Yes.

4 **A.** But there's a whole, I think, large four or five pages
5 of questions basically that they fill and that has evolved also
6 from that time.

7 **Q.** Okay.

8 **A.** And that's what the crisis worker doesn't see, and so
9 that form, at the end of the form, if they're referred to a
10 psychiatrist, there's a page where psychiatrists can document
11 also.

12 **Q.** Okay. So that form ...

13 **A.** So it's a much, much comprehensive form and this is
14 attached to that form.

15 **Q.** Okay, but that ...

16 **A.** Instead of this small suicide risk assessment.

17 **Q.** Thank you. That form, that comprehensive form, we
18 don't see it attached at this Exhibit P105.

19 **A.** Oh yeah, yeah. This is just a tool.

20 **Q.** This is the tool.

21 **A.** This is probably the suicide risk assessment tool,
22 yeah.

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **Q.** One of the things that struck me on this new tool, Dr.
2 Rahman, when we look at the suicide risk assessment on page 9 of
3 Exhibit P67, there is no reference in, I'll call it the old
4 suicide risk assessment to access to lethal means.

5 **A.** Yeah.

6 **Q.** There is now reference to that in this new tool that
7 was effective in the summer of 2017, and under "Management
8 Plan", there's also a note, "removal of lethal means".

9 **A.** Yes.

10 **Q.** So there's two components to this. Identifying if
11 there's access to lethal means which could be a gun or a knife,
12 et cetera, and then there's also a requirement in terms of a
13 management plan to address removal.

14 **A.** Yes.

15 **Q.** That's new. Correct?

16 **A.** Yes.

17 **Q.** Okay. I'm going to move off of that.

18 Yesterday in your evidence, my friend, Mr. Macdonald, asked
19 you what you reviewed in preparation to come and give your
20 evidence here at the Inquiry both recently and then in November
21 when we were initially going to start.

22 **A.** Yeah.

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 Q. And you said you had reviewed the St. Martha's chart.

2 A. Yes.

3 Q. And that's the information that we have at P67.

4 A. Yes, yeah.

5 Q. Did you review, or have occasion to review, at any
6 point in preparation for your evidence, Dr. Rahman, any other
7 records? Any medical records from New Brunswick? Any medical
8 records from treatment providers? Did you ever have an
9 opportunity to take a look at any of those other records?

10 A. No.

11 Q. Okay. You indicated yesterday that your emergency
12 room chart note following the consult request from Dr. Clark,
13 you said it was longer than it would usually be.

14 A. Yeah.

15 Q. You said your two pages of notes was not usual. Why
16 was it longer? Why was it not usual to have that level of
17 detail?

18 A. I'm not bragging myself, first of all, but it's just
19 that seeing a patient in the emergency room setting is much
20 different than having a full psychiatric assessment.

21 Q. Yes.

22 A. It just happened that I started to talk to Mr. Desmond

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 and there was a flow and we went into a little bit more depth
2 into his presentation and his symptoms and his history in terms
3 of his military service also, so it was a very interesting
4 experience for me. I was able ... he was very personable and we
5 were able to make a rapport and ... so when I ... I was on call.
6 I was not that busy also.

7 Usually, when they are ... you could see the emergency room
8 care record. The space in the emergency room care record is
9 pretty small where the ER physician writes and sometimes when we
10 are referred from patients who are directly coming from other
11 hospitals, that's the space that we get and we usually do that
12 much of ... you know, information is figured in that area.

13 So because we were planning to keep him in the hospital and
14 there was a chart and there were more papers and I didn't have
15 to go through the small one, so there was much space and, of
16 course, I would say Mr. Desmond, he had a history that I
17 documented. He had a history but it was not a difficult
18 assessment for me. There were no acute psychiatric symptoms
19 there. He was clearly asking what he needed, a place to say.
20 Otherwise, he was telling his story. I could not see, in the
21 course of the discussion of 30, 40 minutes that there was some
22 acuity in the symptoms. There could be chronic symptoms but

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 acute and chronic can also happen where people can present
2 acutely. "Acutely" would be sudden and severe whereas "chronic"
3 is longstanding, long-developing syndrome.

4 Mr. Desmond had a history for about ten years and I was
5 pretty sure that besides the records that we have and I read, he
6 would have a lot of other ten-year records also, but I was
7 seeing him here and then kind of at the time situation, so what
8 I would say that it was not a difficult assessment for me,
9 although any veteran with PTSD can be complex. It's complex.
10 It is complex.

11 So in that regard, I wanted to cover as much as bases I can
12 in my note. It was almost like a ... not a full psychiatric
13 because I did not do the full symptom profile. I could not ...
14 it would take ... you know, if I go (take time?) to profile each
15 diagnosis, then ... but the diagnosis was already established
16 from reviewing the previous records as well as personally
17 interviewing Mr. Desmond.

18 So it just happened that I happened to write quite a bit on
19 that note.

20 Q. Is it also fair to say ... I mean you had said
21 yesterday in your evidence that in your experience with military
22 veterans, they're often treated privately in the community.

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **A.** Yes.

2 **Q.** But there are occasions, when they are in crisis, when
3 they show up in hospital.

4 **A.** Yes.

5 **Q.** And this would certainly, to my review, qualify as
6 that exact situation. We know Lionel was being treated in the
7 community privately, but he had a crisis which landed him in the
8 hospital on his own volition on January 1st. Is that fair to
9 say?

10 **A.** Yeah, yeah.

11 **Q.** Okay.

12 **A.** So ...

13 **Q.** So that crisis, is that the same as it being acute or
14 is there a distinction?

15 **A.** There's a distinction.

16 **Q.** Okay, what is the distinction?

17 **A.** Acute psychiatric symptoms would be somebody who's
18 presenting in mania or psychosis, losing touch with reality,
19 having hallucinations. They're aggressive, they're agitated,
20 they're suicidal, their demeanour is ... there's psychomotor
21 agitation. That's a different scenario.

22 And we get patients ... it's not that we have admitted many

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 veterans on our unit, including RCMP, that were in crisis and
2 they are treated either in our department, outpatient
3 department, or in the community by a private therapist and we
4 have admitted them. We have to the point of involuntarily
5 invoking **Involuntary Psychiatric Treatment Act**.

6 Q. Yes.

7 A. Crisis is something which is, you know, there's a
8 definition, as much as I can explain to you, is a situation
9 where a normal or usual coping strategies of a person are overt
10 thereby needing or them requiring urgent support.

11 So there's a difference. That's a crisis ... situational
12 crisis. That's what actually the Honourable Judge had asked in
13 the past, that crisis. So my definition of "crisis" is ...

14 Q. Is that, yeah.

15 A. ... that, whereas acute psychiatric presentation would
16 be substance-induced psychosis.

17 Q. Fair enough. And that was not the case.

18 A. Although it's not ... no, it was not the case.

19 Q. No.

20 A. But we end up certifying people who have lost touch
21 with reality, with no psychiatric history, no suicidal
22 ideations, but they're completely out of it.

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **Q.** So with the crisis definition you've provided, you'd
2 agree with me that Lionel had gotten to a situation where his
3 usual coping strategies were over and he needed more support and
4 that would've brought him into the hospital.

5 **A.** Absolutely.

6 **Q.** Is that fair? Okay.

7 We reviewed yesterday your notes in your chart. You
8 indicated that it was never intended to be a verbatim capture of
9 the conversation you had ...

10 **A.** Yeah, yeah.

11 **Q.** ... with Corporal Desmond which you said took place
12 over 30 to 40 minutes. There were a number of items, they were
13 reviewed yesterday, that were not captured in any way in your
14 chart.

15 **A.** Yes.

16 **Q.** The fact that Corporal Desmond reported his guns being
17 taken away from him.

18 **A.** Mm-hmm.

19 **Q.** There was a discussion about his wife working
20 apparently on the third floor and you perceived him trying to
21 protect her from the gossip which would be related to him being
22 admitted there.

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 You also had a conversation with him about asking if you
2 could call his wife and he said no.

3 **A.** Yes, yeah.

4 **Q.** None of that was captured.

5 **A.** Yes, yeah.

6 **Q.** After January 1st and 2nd and the deaths, Dr. Rahman,
7 did you ever prepare a more detailed recollection of what had
8 happened, while fresh in your mind, to capture and preserve your
9 memory?

10 **A.** Okay, yeah. So I understand this is almost three,
11 more than three years, but, personally, I will tell you that on
12 the day this happened, I've been reliving this for three years.

13 **Q.** I appreciate that.

14 **A.** And so I remember. I almost ... it's a constant
15 recollection about our discussion and meeting and that's how I
16 remember these things.

17 **Q.** So my question was did you ever prepare a more
18 detailed recollection in writing? I appreciate that, you know,
19 this would've impacted you as well.

20 **A.** Yeah, yeah.

21 **Q.** And that you've been reliving it, but did you ever
22 take time to sit down in any shape or form and make more

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 detailed notes about what had happened?

2 **MR. HAYNE:** Your Honour, if I just may, I just want to
3 make the clarification, "other than discussions with counsel".

4 **THE COURT:** Other than during your discussions with
5 counsel and particularly for the purpose of informing counsel as
6 to what your recollections are.

7 **MS. MILLER:** Thank you.

8 **THE COURT:** Okay.

9 **MS. MILLER:** So do you understand the distinction? If
10 you were asked by counsel to prepare notes, we don't want to
11 hear about that. What I'm asking, Dr. Rahman, is if you, on
12 your own initiative, sat down, without being told by your
13 counsel to do so, did you ever prepare any, even if they were
14 brief, did you ever put pen to paper, fingers to a keyboard, to
15 prepare any detailed notes that captured more detail than what
16 was in your chart?

17 **A.** No.

18 **Q.** Okay, thank you.

19 I'm going to move now to training. We have your CV and
20 certainly we heard yesterday that you've had the benefit of some
21 Veterans Affairs work during your externship and then after your
22 fellowship in 2004 ...

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **A.** Yes.

2 **Q.** ... in Minneapolis. During that period of time, Dr.
3 Rahman, did you ever have any familiarity or experience with a
4 drug called mefloquine?

5 **A.** Well, mefloquine, I don't have any recollection, but I
6 know mefloquine is an anti-malarial which is used for treatment
7 in prophylaxis of malaria.

8 **Q.** Okay.

9 **A.** And I think that that can be used in veterans or
10 probably I might have used it when I go to Pakistan or some
11 tropical place where there's malaria.

12 **Q.** It's a vaccine?

13 **A.** It's a vaccine.

14 **Q.** Yeah. Which was commonly used, the peak of its use,
15 I think, was in around 2003.

16 **A.** I see, okay.

17 **Q.** So you have a general sense of what it was?

18 **A.** Yes, yes.

19 **Q.** But in terms of your contacts in those veterans
20 hospital and with military veterans, particularly in the US, up
21 until 2004, did you ever have any cases that you worked on where
22 there would have been a suggestion that the impact, the use of

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 mefloquine would have created some mental health issues?

2 **A.** No, I really don't have any recollection, except
3 Agent Orange.

4 **Q.** Okay.

5 **A.** I remember that in great numbers, Agent Orange, and I
6 don't have much ...

7 **Q.** Yeah, but that's not the same as mefloquine?

8 **A.** ... much recollection of that also now, but, but I
9 don't have any.

10 **Q.** Okay. And then since 2004 when you would have left
11 Minneapolis and arrived in Nova Scotia ...

12 **A.** Yeah.

13 **Q.** ... to 2017, other than your on-the-job work, day in,
14 your inpatient, outpatient, have you, yourself, had any more
15 recent formalized training on military veterans and PTSD?

16 **A.** No, not specially, but we are involved in Continuing
17 Medical Education. I attend either American Psychiatric
18 Association meetings or Canadian Psychiatric Association
19 meetings every, you know, every year.

20 **Q.** Yes.

21 **A.** Sometimes both, sometimes one, definitely one. And
22 I have attended some workshops and some kind of CMEs there.

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 Q. Okay. Have any of them specifically ..

2 A. But I have not had any ... Yeah.

3 Q. That was my question. I appreciate that you would
4 have participated in Continuing Medical Education.

5 A. Yes, yeah.

6 Q. That's dictated by the College.

7 A. Yeah.

8 Q. And you would have participated in that. But had any
9 of it focused on military veterans and PTSD and I believe your
10 answer is no.

11 A. Yes, not specifically.

12 Q. Okay. And a similar question - any specialized
13 training focusing on military veterans and suicide risk from
14 2004 to 2017?

15 A. No, not specific.

16 Q. Moving now, I want to just touch upon Lionel's
17 admission.

18 A. Yeah.

19 Q. My understanding from your evidence is that when Dr.
20 Clark called you, he wanted to know if he, Dr. Clark, could take
21 a bed on the inpatient unit. Those were your words yesterday in
22 evidence, is that correct?

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **A.** I, yes, I have the recollection.

2 **Q.** Okay. An inpatient unit would have been the third
3 floor?

4 **A.** Yes, Psychiatry, third floor.

5 **Q.** Third floor.

6 **A.** That's why he was calling me, yes.

7 **Q.** Yeah. So at that point in time he had met with
8 Corporal Desmond, he hadn't identified any issues with admission
9 on the inpatient unit ...

10 **A.** No.

11 **Q.** ... that he conveyed to you, correct?

12 **A.** Yes, correct.

13 **Q.** Okay. And it was only through the course of your
14 conversation with Corporal Desmond that it became apparent that
15 Corporal Desmond's wife ...

16 **A.** Yeah.

17 **Q.** ... was working on the Mental Health Unit?

18 **A.** Correct, yeah.

19 **Q.** Okay. What is the acronym P-C-U, PCU, where is that
20 in the hospital?

21 **A.** Progressive Care Unit. PCU ...

22 **Q.** Okay, yes.

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **A.** ... is Progressive Care Unit. That's a medical,
2 acute medical unit.

3 **Q.** Yes.

4 **A.** It's a stepdown unit from Intensive Care Unit, ICU.

5 **Q.** Yes.

6 **A.** So it's a medical unit.

7 **Q.** Medical unit. And where is that located?

8 **A.** That's on the main floor of the hospital, near the
9 ICU, and patients are, it's a stepdown from ICU, it's connected
10 to ICU.

11 **Q.** And if somebody was working on the Progressive Care
12 Unit, is it, the way the hospital staffing goes, is that where
13 they would be assigned and they would work there exclusively or
14 would they ever be moved over to cover care on the Psychiatric
15 floor?

16 **A.** Oh, there is possibility.

17 **Q.** Okay.

18 **A.** There are float nurses. I think ... I don't know the
19 exact lingo but I think it's float nurses.

20 **Q.** Okay.

21 **A.** They can go wherever the need is.

22 **Q.** Um-hmm.

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **A.** So that would be my answer, yeah. It's not
2 necessarily that one is assigned to one unit until ... There
3 are some nurses who do rotate around different units.

4 **Q.** Okay. And if I understood your evidence correctly
5 yesterday, Dr. Rahman, you, yourself, had, when Corporal Desmond
6 told you about his wife working on the inpatient third floor ...

7 **A.** Yeah.

8 **Q.** ... you, yourself, had a recollection of the
9 individual, Shanna Desmond, who actually worked there?

10 **A.** Yes, yeah.

11 **Q.** Okay. So you recall Shanna Desmond working on the
12 inpatient floor in the Psych/Mental Health Addictions Unit?

13 **A.** Correct.

14 **Q.** I'm going to move now to the discharge. As I
15 understand your evidence and the record, you received a phone
16 call on the morning of January 2nd from someone you thought was
17 an Emergency Room doctor but turned out to be Maggie MacDonald?

18 **A.** Yes.

19 **Q.** A nurse.

20 **A.** Yeah.

21 **Q.** And you provided over the phone, basically,
22 authorization, once you were assured there were no concerns, you

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 provided authorization that Lionel could be discharged, correct?

2 **A.** Yes, yeah.

3 **Q.** Okay. And that's charted in the nurses' notes as, I
4 think, "telephone order for discharge".

5 **A.** Absolutely, yeah.

6 **Q.** We looked at that yesterday.

7 **A.** Yeah.

8 **Q.** Yeah. So based on that, my understanding is that you
9 did not need to see Lionel after you had provided those
10 discharge instructions, is that fair to say?

11 **A.** That is fair to say, yeah. I mean, I could have ...

12 **Q.** But you did go to see to him?

13 **A.** Yes, yes, yeah.

14 **Q.** Why did you go to see him after you had given those
15 instructions for discharge? Was there something about Corporal
16 Desmond, his presentation, the case, that caused you concern?

17 **A.** Okay, yeah. So I was on call, I was in the hospital,
18 basically, so it's just that my interaction with him, being a
19 spouse of a staff member, it's not only that, but I had a
20 connection with him.

21 **Q.** Okay.

22 **A.** I did have a connection with him. So I just came

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 down to ... I wasn't even sure whether he's still there or not.

2 Q. Right. Because you were in the hospital already
3 doing rounds?

4 A. Yes, yes, yeah.

5 Q. What time would you have arrived to start your rounds
6 that day?

7 A. I don't remember, 10:30, 10. I don't remember exact
8 timing ...

9 Q. Okay. But you went down ...

10 A. ... on that day.

11 Q. If I can understand your evidence, you just had a
12 personal connection with him.

13 A. Yes, yeah.

14 Q. The fact that his spouse worked in the hospital?

15 A. Yeah.

16 Q. You did ...

17 A. And usually ... There have been situations in the ER
18 when patients are there ... I try to see them, as much as I can,
19 before they leave.

20 Q. Okay.

21 A. You know. Yeah.

22 Q. You didn't tell Dr. Howard ... this is who you

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 thought was Dr. Howard?

2 **A.** Yes.

3 **Q.** It turns out to be Maggie MacDonald. You didn't tell
4 that person to do a new suicide risk assessment before
5 discharge?

6 **A.** No.

7 **Q.** No. But yet you did it when you went there. Can you
8 explain why you wouldn't have given that instruction to the
9 person on the phone that you were providing the discharge order
10 to but then you did do it yourself?

11 **A.** I just asked her is everything okay, because that
12 plan was already made last night, the night before. It was
13 just a continuation of the assessment the night before.

14 **Q.** Yeah.

15 **A.** So if there would have been any issue the staff would
16 have informed me about it and I was available throughout the
17 night and any time ...

18 **Q.** Yeah.

19 **A.** ... prior to discharge. So the information that I
20 got was that there's nothing concerning.

21 **Q.** Yeah.

22 **A.** So there was nothing concerning to me to begin with.

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 In case there would have been any concern at the time when I
2 admitted him, then I would have ... This is my thought process.
3 Because I gave him off-unit unaccompanied privileges. I usually
4 don't do that, I confine people to their unit. Somebody who's
5 really suicidal or somebody, any ... if the risk is too much, we
6 don't keep them in the Emergency Room.

7 Q. Right.

8 A. We will be certify them, we will take them to the
9 floor. We have many situations where staff members from other
10 hospitals, they call me and they say, Well, their husband or
11 their child or their son or somebody, family member, can you
12 bring them here, because they, they work in that hospital.

13 Q. Right.

14 A. So we do all the time that. And sometimes that
15 happens with us also, that we ... I could have called somewhere
16 else for him to be transferred. So basically ... so that was
17 the reason.

18 Q. So you had been told by your staff who had seen ...

19 A. Yes.

20 Q. Or by your medical colleagues who had assessed him
21 through the night, who had charted things ...

22 A. Yes.

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **Q.** ... that you hadn't had a chance to read, you had
2 been told that there was nothing concerning, you didn't tell
3 them to do a revised suicide assessment but yet you did. And so
4 my question is why? Was there something that was a red flag for
5 you? I mean, you charted that you did that...

6 **A.** Okay, yeah.

7 **Q.** ... when you coincidentally happened to be there to
8 see him?

9 **A.** Yes, yeah. So when I see somebody, that's out of
10 habit also.

11 **Q.** Okay.

12 **A.** Being a psychiatrist, I will do suicide risk
13 assessment, I will ask these questions, standard, anybody who I
14 see when they're going. But that does not mean that I see
15 everybody, you know. This was a atypical situation because he
16 was in the ER. If the patient is in the inpatient Mental
17 Health, the nurses do their mental health profession and they do
18 automatically suicide risk assessment. Now it's very formal ...

19 **Q.** At discharge it has to be ...

20 **A.** ... since this document has come out, this document
21 has come out. Now it's very formal. Nobody goes before that.

22 **Q.** Right. And the document is the Exhibit P105 that we

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 looked at.

2 **A.** Suicide risk assessment tool, right. So at that
3 time... so the ER staff ... If I would have had concerns, I
4 would have ... our ... we have an involuntary, in **IPTA** we have a
5 form, and I don't remember the whole script now, but it's just
6 that if nurses have concerns, a nurse can hold patient for three
7 hours involuntarily. The nurse has the power

8 **Q.** Yeah. Okay.

9 **A.** ... in Mental Health to hold ...

10 **Q.** But in this case, I guess, in answer to my question,
11 Dr. Rahman, there was nothing of concern to you, you did this
12 revised suicide assessment not out of concern but just out of
13 habit?

14 **A.** Absolutely.

15 **Q.** Okay.

16 **A.** Absolutely, yeah.

17 **Q.** Thank you. One of the items yesterday you had
18 identified as could be helpful in future for you and for those
19 of you in the mental health field was more domestic violence
20 training.

21 **A.** Yeah.

22 **Q.** What's your definition of what domestic violence is,

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 Dr. Rahman?

2 **A.** Well, domestic violence, I think that would be
3 anybody treating someone else in an abusive way, in an
4 intimidating way, physically, verbally, emotionally, in an
5 intimate relationship would be abuse.

6 **Q.** Okay. So physical, emotional and/or verbal abuse in
7 an intimate relationship?

8 **A.** Yes.

9 **Q.** Okay.

10 **A.** Or financial.

11 **Q.** And I ... just to confirm my understanding of your
12 evidence - financial, thank you - your evidence yesterday that
13 when you reviewed with Corporal Desmond the interpersonal
14 conflict with his wife, you restricted your questions to
15 physical, I think, is that fair to say? You didn't explore
16 anything else?

17 **A.** Yeah, that would be fair to say.

18 **Q.** Okay.

19 **A.** Yeah.

20 **Q.** You were asked yesterday about, by Mr. Macdonald,
21 about what you've done since the events of January, what has
22 changed for you, and your answer was you're always learning and

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 that's been a takeaway for you.

2 **A.** Mm-hmm.

3 **Q.** I'm curious, in your role have you done any research,
4 reading, self-study since then into the correlation between
5 PTSD, military veterans and suicide?

6 **A.** No, not particularly.

7 **Q.** You were asked yesterday by my friend, Ms. Ward,
8 about the PTSD suicide rate in the general population and I
9 believe your evidence was it's about 10 percent?

10 **A.** Yes.

11 **Q.** Okay. Do you know what the rate is when it's applied
12 to military members, the ... what the PTSD suicide rate is when
13 applied to military members?

14 **A.** I think it's 15 percent. I did read somewhere that
15 suicide attempts are much higher, 20 to 25 percent PTSD
16 veterans, they do have suicide attempts. I think it's, 10, 15
17 percent is the suicide ... I did a workshop. There's a book,
18 actually I still have it at home, there's American Psychiatric
19 Association, books come where you self-learn.

20 **Q.** Okay.

21 **A.** And then you do the question and answers. I did
22 that, I think, last year.

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **Q.** Okay.

2 **A.** PTSD, it's called PTSD workbook, and that's where I
3 got some information in terms of, that I reported yesterday that
4 80 percent of PTSD patients are more likely to have ... they
5 meet criteria for another mental, concurrent disorder.

6 **Q.** Co-morbidity. Yeah.

7 **A.** And that's where I got the information about 48
8 percent of the combat veterans coming from Afghanistan and Iraq
9 have a concurrent mild traumatic brain injury.

10 **Q.** Right.

11 **A.** So I remember that but ...

12 **Q.** So that is another question I was going to ask you -
13 since 2017 have you done any research, reading, self-study on
14 the association of traumatic brain injury and the risk of
15 suicide with ...

16 **A.** That was in that. That was in that.

17 **Q.** That was in that.

18 **A.** I think ...

19 **Q.** That was initiated by you, this training or workshop
20 ...

21 **A.** Yes.

22 **Q.** ... of the American Psychiatric Association?

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **A.** And I bought that book ... actually not that long ago
2 I bought that book from San Francisco at the American
3 Psychiatric Association meeting.

4 **Q.** Okay. Have you had an opportunity since you've been
5 learning, your words yesterday, have you had an opportunity to
6 look at the 2017 report from the Office of the Coroner in
7 Ontario which identifies risk factors for intimate partner
8 deaths arising in Ontario? Have you had a chance to look at
9 those risk factors, that report?

10 **A.** No. No.

11 **THE COURT:** I'm going to stop you just for a second
12 while I think about it. When you have a discussion about
13 suicide rates - and you used the word military, okay, and I know
14 you used the word "military", and at some point in time the
15 doctor was talking about combat veterans and so when you talk
16 about rates, are you talking about rates in the military,
17 generally? Are you talking about those that have been
18 discharged and are veterans? Are you talking about rates of
19 those that are still in the service?

20 **MS. MILLER:** Fair question, yeah.

21 **THE COURT:** As I understand, those numbers are tracked,
22 may be tracked differently.

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **MS. MILLER**: My question was a general question about an
2 awareness of an increase in suicide rates with military members
3 and veterans, so I lumped them together. Are you aware of any
4 distinction between whether someone's actively in the military
5 or if they've been discharged and they're military veterans in
6 terms of the suicide rate, with PTSD?

7 **A.** I'm not sure. I have not dealt too much in active
8 duty military personnel. It's mostly the vas in US are usually
9 these other types.

10 **Q.** Yeah.

11 **A.** Veterans.

12 **Q.** So that's the extent of what you can comment on the
13 US retired military veterans?

14 **A.** Yes, yes.

15 **Q.** And is that from the workbook that you looked at ...

16 **A.** Yes.

17 **Q.** ... through the American Psychiatric Association last
18 year?

19 **A.** Yes, that piece, and then I worked at the VA
20 hospital. The first two years of our residency, 1998 to 2000,
21 the first couple of years ...

22 **Q.** Um-hmm.

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **A.** ... we had regular rotations in the VA ... VAC. We
2 were doing calls there and we did inpatient work there, we did
3 outpatient work there. So off and on I've been affiliated with
4 that.

5 **Q.** Okay.

6 **A.** But I am not an ... I don't consider myself an expert
7 in PTSD.

8 **Q.** Okay.

9 **A.** I don't have a sub-specialized training, I'm not a
10 sub-specialist in PTSD in any way. I've just experienced
11 through my, in my lifetime, but there are more specialized
12 people who work in specialized PTSD clinics.

13 **Q.** Fair enough.

14 **A.** In these hospitals ... in the military hospitals.

15 **Q.** Yeah.

16 **A.** And probably in the OSI Clinic also here.

17 **Q.** And I believe you said yesterday you're a generalist,
18 if I can use that, as a psychiatrist?

19 **A.** Absolutely.

20 **Q.** Yeah. But you do have a sense that there is an
21 increased prevalence of suicide in military members and/or
22 veterans who have a diagnosis of PTSD than the regular

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 population, the general population?

2 **A.** Yes, yeah.

3 **Q.** Okay.

4 **THE COURT:** Ms. Miller, the other point I was going to
5 ask was this, and it will be for all counsel, I know you're
6 going to refer to a report.

7 **MS. MILLER:** Yes.

8 **THE COURT:** If when you do that, if you could give us
9 the formal name of the report and the details so that if
10 somebody wants to look it up or pursue it, they would be able to
11 do that.

12 **MS. MILLER:** Yes.

13 **THE COURT:** Okay. Thank you.

14 **MS. MILLER:** I had asked you, Dr. Rahman, if you had an
15 opportunity in your learning since 2017 to take a look at the
16 Domestic Violence Death Review Committee 2017 Annual Report,
17 which is produced by the Office of the Chief Coroner in Ontario?

18 **A.** No, I have not looked at it.

19 **Q.** Okay. And, you know, for clarity, when ... The term
20 domestic violence death is defined in that report and it is
21 defined as "all homicides that involve the death of a person
22 and/or his or her child or children committed by the person's

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 partner or ex-partner from an intimate relationship". So you've
2 not had an opportunity to take a look at that report?

3 **A.** No.

4 **Q.** When would you, or would you ever, enlist a
5 neuropsychiatrist, in terms of your practice, either on an
6 inpatient or an outpatient basis?

7 **A.** You mean when would I refer somebody to a
8 neuropsychiatrist?

9 **Q.** Yeah. Well, let's start with what is a
10 neuropsychiatrist?

11 **A.** Yeah. Neuropsychiatrists are ... it's not a sub-
12 specialty. It is if somebody has an interest. It's not,
13 there's no extra fellowship or anything like that by the name of
14 neuropsychiatry. Some psychiatrists might have special interest
15 or they might have done some more courses or has a special ...
16 So a neuropsychiatrist would deal with patients with, of course
17 with neurological ... There's a psychiatric sequela to a lot of
18 neurological diseases and I think brain injury is somewhat
19 considered a neurological diagnosis and there could be
20 psychiatric sequela.

21 **Q.** Okay.

22 **A.** Like, dementia is a neuro ... is a medical diagnosis,

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 a neurological diagnosis, and it has a psychiatric sequela.
2 Parkinson's Disease is a neurological that has a... So there are
3 a lot of neurological ... you know, ALS.

4 Q. Okay.

5 A. So those ...

6 Q. But traumatic brain injury being one.

7 A. Traumatic brain injury will be one. So there are
8 people that do some special work. So Mr. Desmond was treated at
9 Ste. Anne's Center and that's the PTSD rehabilitation unit.

10 Q. Okay.

11 A. Which does, I believe, which does encompass ... it
12 does cover all this treatment.

13 Q. Neuropsychiatric treatment?

14 A. Neuropsychiatric also.

15 Q. Okay. Yeah.

16 A. And he was there for three months and so forth so ...

17 Q. Do you know that he would have been assessed by a
18 neuropsychiatrist there or you just assume?

19 A. I assume. We don't ... didn't have any records but he
20 just told me that he was there for three months.

21 Q. Okay.

22 A. But I ... we didn't have any records.

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **Q.** If you had to refer someone to a neuropsychiatrist is
2 there one in the eastern district?

3 **A.** No.

4 **Q.** Okay. Where would you have to refer them to?

5 **A.** Probably I'd have to take a look at in Halifax.

6 **Q.** Okay. Okay. I'm almost done.

7 **A.** Okay.

8 **Q.** It's clear to me from your evidence yesterday that
9 the psychiatric practice doesn't have the benefit of an
10 objective record to confirm a diagnosis. So, for example, you
11 don't get an x-ray that shows a broken bone ...

12 **A.** No.

13 **Q.** ... like you would if you were an orthopedic surgeon?

14 **A.** Correct.

15 **Q.** You don't get a blood test that confirms the presence
16 or absence of some sort of relevant marker. As you've said, you
17 have to rely on your interview and, you know, your clinical
18 judgment when you're making a diagnosis and assessing sort of a
19 management plan. Is that a fair characterization?

20 **A.** And the patient's participation and engagement in the
21 therapeutic process also.

22 **Q.** Absolutely. A lot of that information that you have

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 to rely on comes directly from the patient?

2 **A.** Yes.

3 **Q.** And so it's from ... we all have a sense of the, we
4 know what happened, we know that based on your interview with
5 Lionel it appears he either under-reported or incorrectly
6 reported things to you. So, for example, we know his guns were
7 taken away, he told you that, but we also know he got his guns
8 back.

9 **A.** Mm-hmm.

10 **Q.** But he didn't share that with you, correct?

11 **A.** I believe so, if that's the case.

12 **Q.** Yeah. We also know that he was seeing a Veterans
13 Affairs counselor, you know that?

14 **A.** Yes.

15 **Q.** He told you he did not have any suicidal ideation, he
16 wasn't thinking about harming himself, but we also know that her
17 records show that he had frequent suicidal ideation in that
18 month. But you didn't know that because he didn't tell you
19 that?

20 **A.** Yeah.

21 **Q.** Is that fair to say?

22 **A.** If that's the case, yeah.

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 **Q.** He wouldn't allow you to call his wife to get any
2 collateral information to help you confirm any of the
3 information. So the sense I get is that you were left with your
4 clinical judgment, the information that was provided from Lionel
5 ...

6 **A.** Um-hmm.

7 **Q.** ... and you did the best you could with that?

8 **A.** Um-hmm.

9 **Q.** You know, as we move forward, and the purpose of this
10 Inquiry, Dr. Rahman, is to find ways to make sure we build as
11 robust a system as possible to prevent this.

12 **A.** Yeah, yeah.

13 **Q.** And I appreciate that there are medical things that
14 have been done from your perspective - you described them
15 yesterday - and we went over again this clinical tool that came
16 into play in the summer of 2017. But it strikes me that, you
17 know, there are ways that if you had access to additional
18 information, access to being allowed to call Shanna Desmond,
19 access to being allowed to call or someone in your clinic being
20 allowed to call the Veterans Affairs counselor, someone who
21 could call the police to check or to check about the presence of
22 firearms, that all of that would have helped you build a more

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 accurate picture of what was going on with Mr. Desmond, is that
2 fair to say?

3 **A.** Any additional information could be helpful.

4 **Q.** Right. And you had barriers and you have barriers to
5 accessing additional information because of certain legislative
6 privacy requirements, for example?

7 **A.** Yeah, yeah.

8 **Q.** At the time, you wanted to call Shanna Desmond is my
9 understanding.

10 **A.** Yes, yeah.

11 **Q.** But Corporal Desmond wouldn't allow that, but you
12 felt it was ... you felt there was a need to talk to her, right?
13 So you were hampered ... is it fair to say you were hampered by
14 the system, it wouldn't allow you to call her, is that correct?

15 **A.** Yeah. I mean, I asked him, but he would not allow
16 me. Yes, yeah, no, absolutely, yeah.

17 **Q.** If you were able to have called the Veterans ...
18 Again, I'm not suggesting you, necessarily, but somebody who
19 would have had contact with Corporal Desmond that night who
20 could have gathered additional collateral information to ensure
21 that the information you had was as robust as possible. If
22 someone had been able to contact the Veterans Affairs counselor,

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 knowing what we know, that would have been helpful, too, in
2 terms of you making a disposition plan?

3 **A.** But I had some information also in terms of Dr.
4 Slayter's notes, which did have a lot of information.

5 **Q.** Yes.

6 **A.** Any ... again, any information would be helpful.

7 **Q.** Yeah, and this is a forward-looking question.

8 **A.** But ... Yeah. So in the course of my interview,
9 asking him about ... I'll tell you, this is ... Can I elaborate,
10 give a perspective?

11 **Q.** Absolutely.

12 **A.** If some veteran like Mr. Desmond comes to the ER
13 himself, not brought in by police, things change, and is not
14 endorsing any acute psychotic or psychiatric symptoms, would
15 ask, one, that, you know, that's what happened and I need a
16 place to stay, in terms of ... And he tells you that police have
17 been involved many times, but there's no record that ever police
18 had brought him to the hospital here in St. Martha's.

19 **Q.** Um-hmm.

20 **A.** And you ask him if there's any legal history, he
21 tells you ... I don't know, now you would know better whether
22 this is true or not, he did not have any ... We get patients

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 all the time having restraining orders, peace bonds, charges,
2 drug use. He was not using any drugs, police had been involved,
3 but police has taken away guns but, usually, if that's the case,
4 police does bring them to the hospital. So these are all safety
5 factors also. In my view, if a police ... This regularly
6 happens that police brings in patient. Oh, well, taking away
7 guns and not bringing to the hospital, that does not happen
8 often. So there is some assessment from the RCMP standpoint
9 that had been done in the past, right, not to a point where ...
10 He's seen by Dr. Slayter with all these symptoms, and he was
11 seen previously also, so there was no other intervention. You
12 know, he would have presented maybe relatively worse than what
13 he was presenting this time.

14 Q. Yeah.

15 A. But he was still being managed as an outpatient.

16 Q. I appreciate that.

17 A. So ...

18 Q. So my question is more forward-thinking. I
19 appreciate that what you had at that time was what you could do,
20 but as we look forward as a province in terms of building as
21 robust a system as possible, you know, with different components
22 - police, firearms, the medical, you frontline treatment

DR. FAISAL RAHMAN, Cross-Examination by Ms. Miller

1 providers - it strikes me that there would have been value in
2 you being able to access collateral information to confirm some
3 or all of the information that would have been relevant that
4 Corporal Desmond had shared with you.

5 **A.** Oh, no, absolutely. We need patient ... If somebody
6 doesn't tell us the truth, our hands are tied.

7 **Q.** Right. Because you ... and won't give permission ...

8 **A.** If we don't have a collateral ... Yes.

9 **Q.** ... to speak to a spouse, your hands are tied?

10 **A.** Yes, yeah.

11 **Q.** Even though you may believe, as you did in this case,
12 that there would have been value in that?

13 **A.** Absolutely. But in his case, according to my
14 assessment, the safety of the person, it did not trump his
15 personal health information.

16 **Q.** Fair enough. Okay. Thank you, Dr. Rahman. I
17 appreciate your time.

18 **A.** Okay. Thank you.

19 **THE COURT:** Mr. Rodgers?
20
21
22

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

CROSS-EXAMINATION BY MR. RODGERS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

MR. RODGERS: Thank you, Your Honour. Dr. Rahman, I'm Adam Rodgers, I'm counsel to the personal representative of Corporal Lionel Desmond.

A. Hello.

Q. I want to pick up close to where my friend, Ms. Miller, left off and I want to ask you, Doctor, about your knowledge or familiarity with the operational stress injury facilities, Ste. Anne's, the Veterans Affairs programs. You've had some background in that area from the United States but I guess in your role as Chief of Psychiatry for the eastern region or perhaps in your clinical practice, is it often the case where, or is it ever the case, where you come into contact with military veterans and need to interact somehow with the federal health system if I can put it that way?

A. Yes, that happens.

Q. So you mentioned Ste. Anne's facility in a way that told me you had some familiarity with it, is that fair to say that you do?

A. I had minimal familiarity, like I don't know what level of programs they offer but I know it's a PTSD

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 rehabilitation unit funded by the veterans and there are some
2 patients who do quality and meet the criteria and go there for
3 inpatient services.

4 Q. Okay. And just anecdotally from your perspective,
5 have you sent patients there and then seen them afterwards, like
6 do you have any sense of the effectiveness of the programs that
7 they offer?

8 A. We had, you know, once they are discharged it depends
9 where they will be followed up.

10 Q. Yes.

11 A. Either in the community or with a private therapist or
12 they are sometimes followed with the OSI clinics.

13 Q. Yes.

14 A. I don't have much experience in terms of too many
15 patients who have gone in that program and come back and being
16 followed up. They are still ... they are usually followed up by
17 specialized services.

18 Q. Okay. And what about, so would that be the case again
19 for the OSI clinic, the OSI clinic in Nova Scotia or elsewhere?

20 A. Yeah.

21 Q. Okay. What about, Doctor, in terms of accessing
22 information and I'm not talking specifically about Corporal

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 Desmond's case but in any veteran's case. Have you had occasion
2 to seek out medical records from Veterans Affairs or from the
3 federal government?

4 **A.** I have and it's not easy to (unclear) federal VA
5 records. When I look at, I know OSI, even if we request records
6 from OSI and patient consents, there's a limitation even on
7 patient consent that my understanding is that there's a
8 limitation how much records we can access or they will be able
9 to send us.

10 **Q.** Yes.

11 **A.** There's some classified records that even the patient
12 consents, they are not released. I have that much of an
13 understanding.

14 **Q.** Would you ...

15 **A.** And one more thing, OSI is not ... it's new also.

16 **Q.** Yes.

17 **A.** I think OSI Clinic in Halifax, I don't remember what
18 year it was that there was a contract signed between them but
19 OSI is part of Nova Scotia Health Authority now, they are
20 subcontracted or it's part of that through the VA so it's a new
21 program.

22 **Q.** Yes. Are you aware whether that's going to change

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 anything when it comes to accessing records? I mean, we're
2 talking about this One Patient One Record thing. Would it be
3 your understanding, and you may not know, but whether OSI would
4 be included in that?

5 **A.** Well, I don't know but that is my hope and that was
6 one of my recommendations also the other day that, you know,
7 some simplified or centralized system to access records no
8 matter where the patient has had treatment, other provinces,
9 other departments, other governments, that could really help us
10 but at the same time, I work in inpatient and I can get records
11 from other provinces and we call, we get records regularly, but
12 VA records are not as easily accessible.

13 **Q.** It seems, and I wanted to make that comparison,
14 Doctor, I'm glad you raised it because we heard Dr. Clark say as
15 an emergency room physician, that if he needs records from
16 another province sometimes it's just a matter of faxing and
17 requesting them and they arrive, you know, in a relatively short
18 timeframe.

19 **A.** Yeah.

20 **Q.** Would it seem to make sense to you that emergency room
21 physicians and psychiatrists and maybe others should have better
22 access to those kinds of records?

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 **A.** Yeah, they should. I'll give an example. At VA where
2 I used to work, the whole VA system in US at the time, they were
3 all computerized and connected to each other so there was
4 paperless charts in late 1990s. All VAS in US were centralized
5 on one computer system. Not public, like they weren't ... it
6 wouldn't be public, it's within the VA.

7 **Q.** And certainly there's going to be some information
8 that may disclose an operation or something else that must
9 remain secret but the diagnosis and some of the key information
10 should certainly be available, would you agree?

11 **A.** Absolutely, yeah.

12 **Q.** It seems strange, I mean, not everything is comparable
13 but, you know, justice records are run by each province and yet
14 we get a criminal record printout for each person that's going
15 to court if it's relevant. So it seems strange that that would
16 not be available on the health record side but that's
17 interesting, more than 20 years ago that they were available in
18 the United States that way.

19 **A.** Yeah.

20 **Q.** Do you ever get referrals, like I was asking you I
21 guess, do you send people to Veterans Affairs OSI clinics?

22 **A.** Yes, yeah.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 **Q.** And do you ever receive referrals from Veterans
2 Affairs, like so if such as the case like Corporal Desmond's,
3 you know, he's been discharged or was moved to the area, do you
4 ever receive referrals from Veterans Affairs?

5 **A.** Yes.

6 **Q.** Okay. And can you talk about that process a little
7 bit and how it works, if it works well?

8 **A.** I think in Corporal Desmond's situation, I just saw
9 him once in the ER, you know, Dr. Slayter would be the one who
10 saw him and he would have a better knowledge about accessing
11 records in this particular case.

12 **Q.** Sure.

13 **A.** But I know that when we get referrals from the
14 Veterans and OSI clinics for people to be followed up in the
15 community through the public psychiatry so we have patients
16 referred from them and we refer to them also patients who are,
17 when we get referrals they're either being followed by our own
18 department in the outpatient mental health. That's how Dr.
19 Slayter got involved, he got a referral.

20 **Q.** Yes.

21 **A.** He had a family doctor also, I think family doctor
22 referred him, but initially I think there was some role of

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 Veterans also that the referral came from and so these veterans
2 are being followed up by either private therapists in rural Nova
3 Scotia.

4 Q. Yes.

5 A. They are in the public system also and some of them
6 are attached to the OSI Clinic. Some people don't prefer to go
7 all the way to Halifax so they are here, they're subcontracted,
8 and then there's a tele-psychiatry also now, we're offering
9 tele-psychiatry which is also new and that's great that OSI
10 Clinic is offering that too.

11 Q. When they send ... when they refer someone to you and
12 I know I think in this case it was Dr. Ranjini who had sent ...

13 A. Yes. Yeah, family physician.

14 Q. ... Corporal Desmond to see Dr. Slayter but if
15 Veterans Affairs sends ... refers somebody, or secondarily
16 refers somebody, would they include the records they have or
17 some relevant records with that referral or do you still then
18 need to see the patient, identify that you need some records,
19 and then request them?

20 A. I think it's case-by-case and there could be one
21 letter coming in but they're not detailed medical records, we
22 don't get that. That's why Dr. Slayter was ... he had asked

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 Corporal Desmond to ...

2 Q. Yes, and we'll talk about whether that's a good way to
3 obtain records.

4 A. Yeah.

5 Q. I presume your view would be or maybe I'll ask you,
6 what would your view be on a good way to have those records
7 received by yourself or by one of the psychiatrists?

8 A. That could be the simple way, the best way that either
9 we can request it or the patient can request it and they should
10 be sent to us promptly. That could be the best case scenario
11 but I think there are some ... that needs to be looked at, there
12 are some limitations as to ...

13 Q. In your experience, it strikes me that there may be a
14 difference between somebody who's looking for records, you know,
15 for a bad back as opposed to a mental health issue because the
16 issue itself may prevent them or impede them in making the
17 request, you know what I mean? So would it be your ... is it
18 your understanding that the patient needs to agree that these
19 records ... they need to sign a release so that the records get
20 transferred?

21 A. Yes.

22 Q. And in a case of a mental health patient, certainly a

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 mental health crisis, would it be your view that that consent is
2 not essential or should not be required?

3 **A.** Well again, the simple and direct way would be
4 helpful. I cannot say that, I don't know what are the ...
5 there's a **Personal Health Information Act** and there's a
6 confidentiality piece and there's a patient preference piece and
7 that is something that needs to be dealt with, it needs to be
8 brainstormed and maybe in legislation.

9 **Q.** Sure, that's fair enough. Okay. So, Doctor, a
10 slightly different question now. In Veterans Affairs when
11 somebody's discharged from the military, there is some effort,
12 and we'll talk to other witnesses about that effort, to set up
13 services for veterans that are in need of such services. Is it
14 ever the case that ... are you aware or are you part of that
15 contact that, you know, we're discharging a veteran, this
16 person's been treated for so many years by OSI in our mental
17 health system, they're moving to your area.

18 **A.** Yeah.

19 **Q.** Now we're not telling you that they've got anything or
20 they need to see you next week but we're just letting you know
21 they're there. Does that ever happen that you're just simply
22 made aware of a veteran that's moved to your area that has a

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 mental health history?

2 **A.** Yes, that happens.

3 **Q.** Do you appreciate getting that information or ...

4 **A.** About veterans, I cannot answer that. We get
5 referrals from Veterans Affairs. Usually if somebody is
6 followed by ... in OSI clinics, let's say Corporal Desmond's
7 case, he was followed up in Fredericton, they would refer them
8 to an OSI clinic here. I don't know really about the process,
9 to what extent the referral was made, but I'm aware that we got
10 the referral from Dr. Ranjini.

11 **Q.** Yes, okay. So would you see a system and I'm asking
12 you to imagine how this might work ...

13 **A.** Yeah.

14 **Q.** ... would you see benefits of having that connection
15 between the provincial medical psychiatric system and Veterans
16 Affairs where a veteran's been discharged or a soldier's been
17 discharged, moving to the area, that some awareness is
18 identified?

19 **A.** Oh, absolutely. Background about any patient deserves
20 to be served where they live, nearby, a nearby facility, whether
21 it be background or it could be public psychiatry so that would
22 be helpful to incorporate them to the nearest professional

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 available but, of course, there has to be a smooth flow of
2 records also along with that where the patient has been, has
3 agreed or would be followed up in the long run.

4 **Q.** You were asked by my friend, Ms. Miller, about the ...
5 anything that you've identified and read yourself on these
6 topics that we're covering but is there, as far as you're aware,
7 anything provided for continuing education on mental health as
8 it pertains particularly to military veterans? Is there
9 anything like that provided to psychiatrists through the
10 provincial system, any formal education or materials or
11 training?

12 **A.** I'm not aware of any.

13 **Q.** Okay, thank you, Doctor, for those.

14 I'm going to switch topics and ask you, you identified that
15 Corporal Desmond had at one point been prescribed marijuana,
16 medical marijuana for his PTSD?

17 **A.** Yes.

18 **Q.** I know that wasn't something that was current when you
19 met with him but we're going to hear from a doctor who
20 prescribed the medical marijuana to Corporal Desmond. I just
21 want to know from you in your 20-plus years of experience and
22 working with veterans and working with those with PTSD, if

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 you've explored that topic, that use of marijuana for that
2 condition, and what your views might be.

3 **A.** Well, I'm not an expert in marijuana. I don't have a
4 ... I don't prescribe marijuana but as a generalist I can tell
5 you that marijuana, it does cause psychiatric symptoms, it does
6 cause psychosis, it all depends on person to person, how much
7 one is using, what kind one is using, what is the THC content or
8 the CBD content, in what form they are using. So it just, it
9 depends, case-by-case basis but we regularly see patients in our
10 inpatient unit and in our emergency rooms who present with
11 psychosis in context of marijuana. We have seen, marijuana was
12 very common, it has been around for a number of years. Since it
13 has become more readily available now, we have noticed some
14 increase in the presentation with people in psychosis caused by
15 marijuana.

16 **Q.** Have you noticed anyone ...

17 **A.** I don't understand marijuana. I attended the CMEs and
18 marijuana does, to some family doctors who prescribe it, it has
19 some therapeutic advantages in terms of treating pain and PTSD
20 symptoms also but I have limited experience in this field.

21 **Q.** Okay. Given your profession I wanted to see what your
22 views were as we'll hear some other witnesses on that topic,

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 thank you.

2 So, Dr. Rahman, it may have surprised some people to hear
3 that in the course of a week you're encountering maybe 10 to 15
4 people that are identifying as with suicidal ideations.

5 **A.** Mm-hmm.

6 **Q.** That seems like a high number and it seemed like a
7 high number to have at any point two or three individuals
8 referred through the **Involuntary Psychiatric Treatment Act** at
9 any time but that is your experience on a weekly basis?

10 **A.** Yes, one or two involuntary and ...

11 **Q.** Sure. But that still seems like a lot of people
12 coming in each week that you've got to deal with and talk to
13 that are expressing suicidal ideations?

14 **A.** Oh absolutely, we are a very busy service.

15 **Q.** It's not a fair question, I'm not going to ask it, Dr.
16 Rahman, but it's a question that's sort of implicit in a lot of
17 what we're asking you here is, you know, how come you didn't see
18 this coming, that's the question and it's not, like I say, it's
19 not a question I'm asking and we're not here to assign a blame
20 so I don't want to have that discussion. But a few people saw
21 Corporal Desmond before he did these things and you're a
22 psychiatrist so if anybody was going to see it coming, perhaps

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 you had the best chance under the right circumstances.

2 So I want to talk about what those circumstances might be
3 or might have been and we do, of course, want to try to foresee
4 these and prevent them. So Ms. Miller's already asked you about
5 the potential to contact collateral contacts and the desire that
6 you had to do that. You did wish to contact other people that
7 might have informed your views more but there were barriers to
8 that, legal barriers and perhaps availability barriers, we don't
9 know, because you weren't able to make the efforts but certainly
10 Catherine Chambers who was identified in Dr. Slayter's report as
11 his mental health clinician and Shanna Desmond, Corporal
12 Desmond's wife, maybe others.

13 So there were barriers there and we can identify whether we
14 want to look at those but do you see, just when it comes to
15 collateral contacts, do you see other barriers besides the
16 privacy and legal barriers that we've talked about? And
17 certainly if you were ... I was thinking if you were
18 overburdened in terms of time that perhaps you wouldn't be
19 calling two or three collateral contacts for every patient you
20 deal with.

21 **A.** We do that anyways, we try to do that if we get the
22 permission, depending on the circumstances. Collateral

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 information is very important in the field of psychiatry so we
2 do understand that. Again, (slow flow?) of medical records and
3 availability and there are confidentiality issues.

4 Q. Yes.

5 A. I mean a private therapist, whether they will give us
6 information, if the patient will consent or not.

7 Q. Yes.

8 A. There are different points of care which needs to be
9 integrated and to minimize the risk. That is ... that's part of
10 ... that's what we are here for. That's the purpose of the
11 inquiry also and we will be very open to look at what the
12 recommendations are, the options are, and we want to serve the
13 people ...

14 Q. Sure, no, that's ...

15 A. ... in a safe environment.

16 Q. ... that's apparent, Doctor, thank you.

17 Another potential barrier and I think you've addressed this
18 indirectly but are there enough psychiatrists to deal with the
19 workload that you have on a regular basis at St. Martha's?

20 A. St. Martha's, I think we are in good position. We
21 have enough resources at St. Martha's but if we talk about all
22 over Nova Scotia, we have a dearth of psychiatry services in

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 Cape Breton right now ...

2 Q. Yes.

3 A. ... and some other places but as far as St. Martha's
4 is concerned, we have full complement of three adult
5 psychiatrists and one child psychiatrist and, you know, so but
6 additional resources would always be welcome. It's a busy
7 service but we are managing, we are coping.

8 Q. So time is always precious. Is time a frequent
9 barrier to full treatment of a patient when they come in to see
10 you?

11 A. It depends on different settings so it does not ... we
12 do have time, we spend time with the patients, it's not a
13 barrier.

14 Q. And access to records is certainly another
15 circumstance, I guess ...

16 A. Yes.

17 Q. ... if we frame it that way that if you had more ready
18 access to records and I'm thinking some sort of instantaneous
19 access to records, would that be the standard you wish to reach?

20 A. Absolutely and we are moving towards that direction in
21 terms of medical records but that's within the NSHA but we also
22 have to look at getting records from ...

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 Q. Other provinces and from the federal government?

2 A. Yeah.

3 Q. Okay. I'll jump around a couple of questions, Doctor.
4 The triage level was identified by a triage nurse as a level two
5 and then you reassessed Corporal Desmond when you met with him.
6 When you change the triage level on a patient, does that require
7 a discussion with the triage nurse to say, Listen, was there
8 something you saw and you didn't write down in your notes that I
9 should know before I change the triage level?

10 **MR. HAYNE:** Your Honour, just again just to be clear, I
11 don't think Dr. Rahman's evidence was that he changed the triage
12 level so just a minor ...

13 A. I can answer.

14 **MR. RODGERS:** You didn't change it on the form?

15 A. No, that's not my job.

16 Q. Yes.

17 A. The triage level is done by the triage nurse and the
18 level I spoke yesterday, that only affects the interval for the
19 patient to be seen by the ER doctor.

20 Q. Okay.

21 A. I have nothing to do with the triage levels.

22 Q. Okay. But you don't automatically, when you say,

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 Well, that doesn't seem quite right, do you routinely or ever go
2 back to the triage nurse to say, Well, what did you see, you
3 know, I think is is a four or a five, you put it as a two?

4 **A.** No, I don't do that, I have not done that.

5 **Q.** You just make your own assessment, okay.

6 **A.** Yeah.

7 **Q.** Trazodone, Dr. Rahman, an antidepressant and was
8 prescribed to Corporal Desmond. We don't have evidence of
9 exactly what the concentration was at the time but we sense that
10 he was on ... he was taking trazodone. Are there risks to that
11 medication? When I see the potential side effects, it looks
12 like for those that have major depressive disorder that there's
13 an increased risk of suicidal thinking and behaviour at least in
14 younger people?

15 **A.** Yeah.

16 **Q.** Was that something of which you were aware or were
17 cautious or considered when it was prescribed to Corporal
18 Desmond?

19 **A.** I did not prescribe and he had already been on.

20 **Q.** Or sorry, he had ... yes.

21 **A.** He had already been on for I don't know how long.

22 **Q.** Yes.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 **A.** Trazodone in children and adolescents there is always
2 increased risk of any antidepressant can increase the risk of
3 suicide, that is true for many antidepressants. But in his case
4 I think trazodone was being given for his sleep, Dr. Slayter had
5 prescribed it, 100 milligrams, and it's an antidepressant at
6 very high doses, not at 50 to 100 milligrams. You need to be on
7 a very high dose for it to have an antidepressant effect. So it
8 is not commonly used nowadays as an antidepressant but it's an
9 off-label, evidence-based usage as a sleep aid.

10 **Q.** Okay. That didn't ... it didn't concern you, I guess,
11 when you saw it on his chart?

12 **A.** No, no.

13 **Q.** Now, Doctor, it appeared that Corporal Desmond wasn't
14 quite forthcoming with you on a number of occasions. Ms. Miller
15 has gone over a few of them. He told you he slept well, the
16 nurses' records show that he probably didn't sleep that well.
17 He was looking at guns online that day, I appreciate you weren't
18 aware of this and weren't aware of much of what I'm about to
19 tell you, I guess, but yet he presents well to you?

20 **A.** Mm-hmm.

21 **Q.** He's looking at guns online then he comes in and he
22 presents fairly well to you as a doctor. He left the hospital

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 the next day and we have records that he went to Canadian Tire
2 and bought a big knife and then, of course, the next day, bought
3 a gun.

4 **A.** Mm-hmm.

5 **Q.** Is that ... well, I guess you don't always know,
6 Doctor, if somebody is not presenting in a completely forthright
7 manner but is that unusual for somebody to come in seeking help
8 and then not be forthcoming?

9 **A.** That is unusual.

10 **Q.** Yeah.

11 **A.** People come to seek help, to get help, and they are
12 forthcoming. They are there to get help.

13 **Q.** And part of the evidence that we heard from the
14 investigators was that Corporal Desmond went into the woods and
15 went through a pathway to get to the house before he committed
16 the incident. That's only two days later too. Does that
17 suggest some sort of dissociation to you?

18 This is what I'm asking, I guess, Doctor, if you considered
19 whether this might be some sort of dissociative disorder that
20 Corporal Desmond had at the time?

21 **A.** Counsel, I cannot comment on this. I have ... I was
22 ... I didn't see him at the time.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 **Q.** Yeah.

2 **A.** I still feel his status changed in the intervening
3 period. That is something that, you know, the assessment of
4 status of mind when he was doing all that would be something
5 that a forensic psychiatrist would be better equipped to answer.
6 They are the ones who do the criminal responsibility and stuff
7 like that. Risk assessment, in their term, the state of mind at
8 the time. I am not an expert in this what was state of mind
9 after he left us.

10 **Q.** But if you were treating the patient for an extended
11 period of time and had the time to get to know them well enough,
12 you could diagnose somebody with a dissociative disorder. You
13 are familiar with the diagnosis at least. Correct?

14 **A.** Yes. Yeah.

15 **Q.** So some of the things such as depression and mood
16 swings, suicidal tendencies, sleep issues, anxiety, panic
17 attacks, compulsions, these sorts of things that seem to be part
18 of a dissociative disorder diagnosis, may have been present with
19 Corporal Desmond. But I guess would you agree with those
20 symptoms being somewhat present?

21 **A.** Again, at the time I saw him, I did not see any
22 dissociative symptoms.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 **Q.** Sure.

2 **A.** But they are part of the PTSD diagnosis. There are
3 some dissociative symptomatology as part of diagnosis of PTSD.

4 **Q.** Okay. And I don't want you to go beyond what you're
5 comfortable opining on, Dr. Rahman, but where somebody is able
6 to present in a normal way or a way that persuades a doctor that
7 they're okay, and yet is able to go off and do these other
8 things in relatively short timeframes thereafter - purchase
9 weapons and then go off and do the actions that follow - does
10 that suggest some sort of dissociation to you?

11 **A.** Cannot comment on that, what happened afterwards, in
12 the next 25 to 30 hours.

13 **Q.** So when Corporal Desmond comes to see you, I guess the
14 question is why would he come to seek help and then not really
15 seek the help?

16 **MR. HAYNE:** Sorry, Your Honour, just the framing of that
17 question is really to the state of mind of ... or what Mr.
18 Desmond was thinking, and although Dr. Rahman is a psychiatrist,
19 I think it may be offside.

20 **THE COURT:** Let me hear the question again.

21 **MR. RODGERS:** The question is why would Corporal Desmond
22 go to the hospital to seek help and then ... well, the way I put

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 it was, and then not seek help.

2 **THE COURT:** And not seek help.

3 **MR. RODGERS:** Yes.

4 **THE COURT:** Well, it presupposes that when he went to
5 the hospital that he was not going for the purpose of seeking
6 help.

7 **MR. RODGERS:** Yeah, but I guess the ...

8 **THE COURT:** Okay. Versus, you know, he went to the
9 hospital to seek help, and at some point in time when he was
10 there, and for whatever reason he may have recalculated what his
11 plan might be without disclosing it.

12 You know he was looking at websites when he was at the
13 hospital, leaves the next day, and you know he goes to Canadian
14 Tire and eventually you know he goes to Leaves & Limbs.

15 **MR. RODGERS:** Yeah.

16 **THE COURT:** This means he had that formulated in his
17 mind the night he went to the hospital because his web searches
18 occurred while he was there.

19 **MR. RODGERS:** Mmm.

20 **THE COURT:** So you've just got a bit of a problem with
21 the premise.

22 **MR. RODGERS:** That's right. I agree.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 So, Doctor, I guess the question is whether ... can you
2 think of what Corporal Desmond's motivations might've been?
3 And, again, that's a difficult question to answer but ...

4 **THE COURT:** Motivations in relation to?

5 **MR. RODGERS:** Motivations in not being completely
6 forthcoming with his answers or his account to you, as it
7 appears that he wasn't.

8 **MR. HAYNE:** And, Your Honour, my objection still stands.
9 I mean I understand Dr. Rahman can give his views as a
10 psychiatrist and what he observed with respect to Mr. Desmond,
11 but I think probing into Mr. Desmond's motivations may be
12 offside in this case.

13 **THE COURT:** Well, he may be able to ask the question if
14 you accept that the information that Mr. Desmond gave him wasn't
15 whole and was not complete, particularly in the context of what
16 he already was aware of through looking at Dr. Slayter's report.
17 Did that have any significance to him in terms of how he would
18 look at or assess Mr. Desmond on that particular evening?
19 Perhaps ask it that way.

20 **MR. RODGERS:** Well, the question I want to ask, Your
21 Honour, is, you know, what else might Corporal Desmond have been
22 ... looking back on it now, what does he think Corporal Desmond

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 might've been doing there?

2 **THE COURT:** That's really pretty speculative and I think
3 that's the objection, too, is that I think you can ask the
4 doctor how he might view something himself in terms of the
5 differences in the information and how that might affect his
6 assessment, but I think you're going too far to ask him to try
7 and read in motivation.

8 At the end of the day, if you think about it, one of the
9 most difficult tasks that this Inquiry will ever have is trying
10 to actually determine what thought processes were, if that's
11 even possible.

12 **MR. RODGERS:** If it's even ...

13 **THE COURT:** Possible.

14 **MR. RODGERS:** If it's even possible, Dr. Rahman might be
15 one of the people in the best position to opine on it.

16 **THE COURT:** Now we would be doing, at the end of the
17 Inquiry, after we've heard all of the evidence. And what we're
18 going to get exposed to in terms of evidence, in effect, is
19 going to be a lot different than what the doctor has available
20 to him right now.

21 **MR. RODGERS:** Mmm.

22 **THE COURT:** So I might just leave it to you to speculate

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 as to what the thought process was in your summation at the end
2 when all the evidence is in.

3 **MR. RODGERS:** No. That's ...

4 **THE COURT:** You know, it's a little bit like having
5 Staff Sergeant Maccallum speculate what the trigger was.

6 **MR. RODGERS:** Yeah.

7 **THE COURT:** Right? That would be an opinion that was
8 developed by the RCMP and the people that he was dealing with,
9 but whether that would constitute a trigger and whether or not a
10 forensic psychiatrist might view it that way, I don't know.

11 So we should be careful about how much of that speculative
12 opinion creeps in because I don't think it's helpful.

13 **MR. RODGERS:** Okay, that's fine. And those are all the
14 questions I have for you, Dr. Rahman, thank you.

15 **A.** Thank you.

16 **THE COURT:** Mr. Hayne?

17

18 **CROSS-EXAMINATION BY MR. HAYNE**

19

20 **MR. HAYNE:** Thank you, Your Honour. Dr. Rahman, I just
21 have some key points for clarification and then some other areas
22 I wish to ask you some questions about. Firstly, just to be

DR. FAISAL RAHMAN, Cross-Examination by Mr. Rodgers

1 clear, Mr. Macdonald asked you yesterday whether you discussed
2 your evidence with anyone in advance of presenting here
3 yesterday and your answer was no but you did have a discussion
4 ... although I was present, you did have a discussion with
5 Inquiry counsel, Mr. Murray and Mr. Russell prior to attending
6 yesterday. Correct?

7 **A.** Yes. Yeah.

8 **Q.** Mr. Macdonald asked you - and, again, I'm paraphrasing
9 - about your clinical judgment and asked you about the various
10 chart information checklists, nursing information, patient
11 information, possibility of collateral information, and he first
12 used the word "trump" but then changed his question to say
13 something along the lines of whether your clinical judgment was
14 the most important factor. And my question is, isn't it true
15 that your clinical judgment doesn't replace or override those
16 other things that I mentioned, but rather, your clinical
17 judgment represents the culmination of your consideration and
18 analysis of all those factors. Is that right?

19 **A.** That's correct.

20 **Q.** You were also asked why you didn't call Dr. Slayter
21 and your answer was that's not what you do as you were the
22 physician on call, but isn't it also fair to say that you would

DR. FAISAL RAHMAN, Cross-Examination by Mr. Hayne

1 expect that all of the pertinent information that Dr. Slayter
2 would've had would've already been written and encompassed in
3 his consultation report that you had already seen? Is that
4 right?

5 **A.** Correct. I will elaborate a little bit on that.
6 Being medical professionals, physicians, especially, we are the
7 ones who know what it's like being on call and not being on
8 call. It does have ... affects the quality of life and that's
9 how the medical system works.

10 **Q.** Okay.

11 **A.** The person on call is the one responsible. We see
12 many patients who have seen many clinicians and we can make a
13 case, people can make a case, on calling each and every
14 physician each time a patient shows up. The on-call person is
15 the one that's not indi- ... it's not ... it does not happen in
16 the medical profession.

17 **Q.** Right. And Mr. Desmond was in front of you at the
18 time. You were doing the assessment.

19 **A.** Yes. Yeah.

20 **Q.** You were also asked about your experience with respect
21 to veterans in the United States from the Afghanistan War and I
22 believe your response was that you had seen some, but not many,

DR. FAISAL RAHMAN, Cross-Examination by Mr. Hayne

1 or something along that lines?

2 **A.** Yeah. Afghanistan War was not ... by the time I was
3 done there, they were just a couple of years into non-conflict
4 and they were trickling in, few of them. I have not seen too
5 Afghan veterans. Mostly from Iraq conflict, Vietnam, Korean
6 conflict, and so forth, but Vietnam was the major share.

7 **Q.** Yes, no, but certainly some from the Iraq War as well.

8 **A.** Yes. Yes.

9 **Q.** Yeah. And is it fair to say that from a psychiatric
10 perspective that the particular theatre of war is not
11 necessarily the most significant factor? It's rather the
12 patient's presentation and perhaps the fact that they had seen
13 combat?

14 **A.** Yes, absolutely. Like these are the questions that we
15 ask, you know, and not everybody suffers from PTSD in having a
16 military background. It depends upon one's coping skills. Some
17 veterans have experienced more exposure to trauma and active
18 theatre and they can manage whereas some cannot.

19 **Q.** Right.

20 **A.** So it just depends. Each case is different.

21 **Q.** So I just want to switch gears a little bit now just
22 to get through some basic information just to make sure that the

DR. FAISAL RAHMAN, Cross-Examination by Mr. Hayne

1 Inquiry has the basic background information because you talked
2 about inpatients and outpatients, and just for clarity,
3 outpatients are patients who come to the hospital periodically
4 to meet with a psychiatrist in this context. But, otherwise,
5 they go home and live in the community. Is that right?

6 A. Correct.

7 Q. Yeah. And inpatients are those who stay and
8 effectively are living out of a hospital, at least for a period
9 of time, as compared to outpatients who go home at the end of
10 the day.

11 A. Correct.

12 Q. Or after their visit, to be more specific.

13 A. Yes.

14 Q. Okay. And with respect to inpatients, there's two
15 classes. Is it fair to say that there's a class of people who
16 are admitted who can benefit from the inpatient care and they're
17 there voluntarily? That's one class.

18 A. Yes. Correct.

19 Q. And then there's the second class of those patients -
20 and we've gone through the requirements under **IPTA** - but they're
21 the second class who are there as inpatients who are there
22 involuntarily, against their will.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Hayne

1 **A.** Yes.

2 **Q.** Okay. And you were aware of the **IPTA** and its
3 provisions when you saw Mr. Desmond. Correct?

4 **A.** Absolutely.

5 **Q.** And you had used **IPTA** to involuntarily admit other
6 patients prior to your encounter with Mr. Desmond. Correct?

7 **A.** All the time.

8 **Q.** Yeah. And I think there was discussions about the
9 numbers of one ... you may use it one to two times per week, but
10 at any one time there may be two or three patients in St.
11 Martha's under **IPTA**. Correct?

12 **A.** Correct.

13 **Q.** And is it fair to say that you would not have
14 hesitated to apply or invoke **IPTA** in the case of Mr. Desmond if
15 you believed that it was indicated. Correct?

16 **A.** That's correct.

17 **Q.** Your assessment was that it was not indicated.
18 Correct?

19 **A.** Absolutely.

20 **Q.** Okay.

21 **A.** Correct.

22 **Q.** Just want, again, a little bit of background

DR. FAISAL RAHMAN, Cross-Examination by Mr. Hayne

1 information, talk a little bit about PTSD. PTSD is a recognized
2 psychiatric disorder. Correct?

3 **A.** Correct.

4 **Q.** It's recognized in the DSM-5. That's the manual of
5 psychiatric disorders?

6 **A.** Yes, Diagnostic and Statistical Manual of ...

7 **Q.** And in general ... and appreciating that every patient
8 is unique. But, in general, the treatment of PTSD may be a
9 combination of medication and therapy. Correct?

10 **A.** Correct.

11 **Q.** And this may be called sort of a biopsychosocial
12 approach?

13 **A.** Yes. That's what we ... the modern training of
14 psychiatry is treating people with this model.

15 **Q.** Okay. And so the "bio" may refer to the medication
16 and ...

17 **A.** Yes.

18 **Q.** ... that component. "Psychosocial" may be the therapy
19 component.

20 **A.** Yes. That's the ... the "psycho" is the therapy,
21 which is dealt with the psychotherapist, and the "social" piece
22 is also integrated in that.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Hayne

1 **Q.** Okay. So in that ...

2 **A.** Yeah.

3 **Q.** ... treatment plan, if I can call it that, the role of
4 a psychiatrist is to provide the diagnosis but not necessarily
5 to conduct the therapy. Correct?

6 **A.** That's usually the case.

7 **Q.** Right. The therapy would usually be provided by a
8 psychologist or therapist or other ... some other form of
9 regulated health professional.

10 **A.** Correct.

11 **Q.** Okay. And in the case of veterans, for example, in
12 the Antigonish area, that may be provided through an OSI-
13 appointed therapist or some local therapist in the Antigonish
14 area. That's right?

15 **A.** Yes.

16 **Q.** And once that's underway, the role of the psychiatrist
17 ... or in the case of ... if not followed by a psychiatrist, the
18 role of a family doctor is to manage prescriptions and monitor
19 their mental health. Is that fair?

20 **A.** Correct.

21 **Q.** And just in terms of patients and ... who have ... we
22 heard about the prevalence of suicidal ideation in your

DR. FAISAL RAHMAN, Cross-Examination by Mr. Hayne

1 practice. In terms of patients and ... sorry. We also heard
2 about the levels low, moderate, severe. In terms of patients
3 who have a low level of suicidal ideation ... again, every
4 patient is different, but it may be appropriate from a
5 psychiatric point of view to have those types of patients live
6 in the community and be seen on an outpatient basis.

7 **A.** Absolutely. Psychiatry is mostly community based ...

8 **Q.** Right. Okay.

9 **A.** ... and all these patients are managed as an
10 outpatient.

11 **Q.** And the same may be true for patients with a moderate
12 level of suicidal ideation and could still be ... could possibly
13 still be appropriate from a psychiatric point of view to have
14 them live in the community and be seen on an outpatient basis.

15 **A.** Correct.

16 **Q.** And I just want to go through and put some of the
17 record to you to see if you agree.

18 The triage nurse recorded that Mr. Desmond was calm and
19 speaking quietly. And do you agree with that from your
20 assessment? That was fitting when you saw Mr. Desmond?

21 **A.** That was my impression, as well.

22 **Q.** And Dr. Clark ... and I think we've gone through this

DR. FAISAL RAHMAN, Cross-Examination by Mr. Hayne

1 but I just want to confirm. Dr. Clark wrote, "No suicidal
2 ideation, no homicidal ideation." And that was your assessment,
3 as well?

4 **A.** Yes.

5 **Q.** And Dr. Clark wrote, "No evidence of psychosis." That
6 was your assessment, as well?

7 **A.** Absolutely.

8 **Q.** As part of your psychiatric assessment, is it true
9 that you try to develop a therapeutic or a psychiatric rapport
10 with a patient?

11 **A.** That is our goal.

12 **Q.** Yeah.

13 **A.** And I think I was able to achieve that.

14 **Q.** And, in fact, with Mr. Desmond, earlier you used the
15 word ... you said that you had a connection with him.

16 **A.** Yes.

17 **Q.** And in your experience with the VA Medical Centre in
18 the United States, is it fair to say that you got to ... I think
19 the word you used earlier, that you became familiar with the
20 lingo that veterans may use.

21 **A.** Yes.

22 **Q.** And so is it fair to say that you were able to apply

DR. FAISAL RAHMAN, Cross-Examination by Mr. Hayne

1 that in the case of Mr. Desmond and that helped you build the
2 therapeutic rapport with him?

3 **A.** I think that was really helpful.

4 **Q.** Yes. And in that rapport, you found him to be
5 engaging and forthcoming. Correct?

6 **A.** Yes.

7 **Q.** And that's one of the reasons why your note in this
8 particular instance, as you said was a little bit maybe longer
9 than normal.

10 **A.** Yes.

11 **Q.** Your assessment was that his thought process appeared
12 to be logical and goal oriented?

13 **A.** Correct.

14 **Q.** And he was future looking?

15 **A.** Correct.

16 **Q.** He was coherent and logical and he comprehended you?

17 **A.** Yes.

18 **Q.** When you're asked about the prescriptions that ... or,
19 rather, the medications that were provided for Mr. Desmond, and
20 some you had struck out with a line, I believe your evidence was
21 that he ... you mentioned the medication to him and he suggested
22 that he tried it before and it didn't agree with him. That was

DR. FAISAL RAHMAN, Cross-Examination by Mr. Hayne

1 his subjective report back to you. Correct?

2 **A.** Yes. And we ... and usually in terms of medication,
3 we do depend and take this into regard, the subjectiveness of
4 what worked in the past for a patient, what does not. So their
5 recollection of ... that he had been on these and it didn't
6 agree ...

7 **Q.** Right. And so ...

8 **A.** ... and wanted to be ... yeah.

9 **Q.** Yeah. And I think you answered my question, but it's
10 part of your psychiatric practice when providing medications to
11 a patient, you rely at least in part on their subjective report
12 to you as to the impact of those medications.

13 **A.** Correct.

14 **Q.** Just in terms of the discharge or when he left
15 hospital, and we discussed how that was a plan that had been put
16 in place the night before and ... Mr. Desmond indicated to you
17 that he was going to follow up with Dr. Slayter. Correct?

18 **A.** I asked him that.

19 **Q.** Right. And we know that he ... or ... take that back.
20 And did you also ask him regarding follow up with a therapist?

21 **A.** Yes.

22 **Q.** Mr. Macdonald asked you yesterday about steps that you

DR. FAISAL RAHMAN, Cross-Examination by Mr. Hayne

1 could have done. But in not meeting the requirements of **IPTA**,
2 which was your evidence, is it your understanding that you had
3 no legal means, as you understand it, to restrain Mr. Desmond or
4 to keep him against his will? Correct?

5 **A.** Correct.

6 **Q.** And, regardless, you didn't think that was indicated.
7 Correct?

8 **A.** Correct.

9 **Q.** And there was also a question about your contact
10 potentially with collateral sources of information, including
11 Shanna Desmond. And you understood that with his refusal of
12 consent, and I think your evidence was that safety didn't
13 override that in this case, you had no other means to reach out
14 to Shanna Desmond. Correct?

15 **A.** That would be correct.

16 **Q.** Okay. The last topic to cover with you this morning,
17 Dr. Rahman, is there was some information that you weren't aware
18 of at the time and I just ... and feel free if you can't
19 comment. But I want to put certain information to you to see
20 what your impression was because these things occurred ... at
21 least the first things I'm going to speak to you, they occurred
22 while you were seeing Mr. Desmond, at least that's the

DR. FAISAL RAHMAN, Cross-Examination by Mr. Hayne

1 understanding that we were provided with. And they are text
2 messages from Mr. Desmond's phone to Shanna Desmond's phone on
3 January 1st, 2017. So just to put in context, Mr. Desmond ...
4 you saw Mr. Desmond sometime around 7:45 p.m., something like
5 that, for ...

6 **A.** Yes.

7 **Q.** ... 30 to 40 minutes. That would have been 19:35, in
8 that nomenclature. There's a text from Mr. Desmond's phone to
9 Shanna Desmond's phone at 20:23, so 23 minutes after 8 p.m. It
10 says, "Hey, just wanted to say I'm sorry for yelling." I'm
11 going to put some more to you here. There's a text at 20:28, "I
12 am sorry I put my hands up to you. I would never hit you. I am
13 sorry for yelling our business out there. Apologize for Aaliyah
14 to hear me outburst. I'm safe now. Good night. XOXO. Love you
15 Shanna."

16 And all ... there's two more, but just stop there. From
17 your view as a psychiatrist and having seen Mr. Desmond at or
18 around that same time, do you believe that these texts are
19 consistent with how Mr. Desmond presented in front of you?

20 **A.** Yes. It sounds he's remorseful and also regretful of
21 what happened. He did endorse that. And it goes along, I
22 believe, with this text.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Hayne

1 **Q.** And, similarly, there's two more texts, one at 20:34,
2 "Please let me know if I can come home to you. I was out of my
3 mind. I'm calm. I should have stayed calm and I said some
4 hurtful things to you. Please forgive me." Is that also
5 consistent with what Mr. Desmond told you and his presentation
6 in front of you?

7 **A.** Yes.

8 **Q.** Okay. And, lastly, at 20:39, "Shanna, I'm sorry for
9 my actions. If you have time, text me. I am getting ready to
10 fall asleep." Similar? Consistent with ...

11 **A.** Similar. Pretty clear text messages.

12 **Q.** And from a psychiatric perspective and feel free,
13 because I was objecting earlier to similar questions, but feel
14 free to ... if you have issues. But from a psychiatric
15 perspective ... and, again, based on what you saw of Mr. Desmond
16 at or around the same time and these text messages, would you
17 ... is it fair to say that these text messages do not
18 demonstrate someone with psychosis? It's correct that these
19 would not ...

20 **A.** That's ...

21 **Q.** ... reflect psychosis?

22 **A.** That's correct. It does not reflect psychosis.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Hayne

1 Q. And they don't reflect suicidality?

2 A. They don't reflect suicidality.

3 Q. And they don't reflect homicidality?

4 A. They don't reflect homicidality.

5 Q. Is it fair to say these texts are consistent with
6 coherent thought?

7 A. Yes.

8 Q. They're consistent with forward-looking thought?

9 A. Yes.

10 Q. And your evidence earlier was that from your
11 perspective ... and, again, correct me if I mischaracterize
12 this, but that you believe that his status changed after he left
13 hospital and after he saw you. Correct?

14 A. That's what I believe.

15 Q. And Mr. Desmond's change of status, according to your
16 belief, could have been brought on by subsequent interactions
17 with other individuals. Is that fair?

18 A. There is certainly a possibility.

19 Q. And we have phone calls on January 2nd and is it ...
20 just to get the time right, Mr. Desmond left hospital sometime
21 around 11 a.m.? Is that ...

22 A. I believe so.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Hayne

1 **Q.** Something like that? There is a phone call from Mr.
2 Desmond's phone to Shanna Desmond's phone at 10:52 which lasted
3 2 minutes and 13 seconds. But then there's a subsequent call at
4 12:56. So that would have been after he had left hospital.

5 **A.** Probably. Yes.

6 **Q.** And that call ... and I think the evidence was ... you
7 weren't here but ...

8 **A.** Yeah.

9 **Q.** ... we don't know if that was a voice interaction or
10 maybe a voicemail message. But it's listed as being 6 minutes
11 and 42 seconds. And is it possible that there may have been
12 something on that phone call, or some other interaction, like
13 you said, that may have resulted in the change of status that
14 you believe happened?

15 **A.** I believe that.

16 **Q.** Okay. Those are my questions. Thank you very much.

17 **A.** Thank you.

18 **MR. MACDONALD:** Your Honour, I had a question arising from
19 Mr. Hayne's questioning, which is new material. I wondered if I
20 might ask it. Relates to the texts.

21 **THE COURT:** I'll let you ... just give me a minute, Mr.
22 Macdonald.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Hayne

1 **MR. MACDONALD:** Sure.

2

3

EXAMINATION BY THE COURT

4

5 **THE COURT:** Following along with the questions that Mr.
6 Hayne asked you ... okay? So he takes you up to 12:56 on
7 January the 2nd or thereabouts. You were talking to Corporal
8 Desmond about his ... about the plan, he was going to do at
9 least two things. One was to follow up with Dr. Slayter.

10 **A.** Yeah.

11 **Q.** And the ... because he had missed an appointment with
12 Dr. Slayter.

13 **A.** Correct.

14 **Q.** And I think you've become aware that on January the
15 3rd, sometime proximate to noon, I'm going to use that as the
16 time, that he had gone to the outpatient mental health clinic
17 and, in fact, had rescheduled the appointment that he'd missed
18 with Dr. Slayter in December and had it rescheduled for January
19 the 18th.

20 **A.** Correct.

21 **Q.** Okay. So that was him following through on that part
22 of the plan that he said he would follow through on.

DR. FAISAL RAHMAN, Examination by the Court

1 **A.** Absolutely.

2 **Q.** Okay. One of the other things that he said he would
3 do is he said he would follow through with his therapist.

4 **A.** Yes.

5 **Q.** Okay.

6 **A.** Yes.

7 **Q.** And I think we'll eventually hear some evidence, and
8 I'm going to suggest to you that this is correct that, in fact,
9 also on January 3rd, in the afternoon, he did, in fact, call his
10 therapist and had a conversation ... a lengthy conversation for
11 perhaps over 20 minutes with his therapist that day. So that
12 would ... he was also following through with his plan ...

13 **A.** Yes.

14 **Q.** ... and the plan that he had agreed to.

15 **A.** Absolutely.

16 **Q.** So would those be the same kind of events that would
17 suggest to you that he was still forward thinking?

18 **A.** Forward thinking and forthcoming also. He did follow
19 through.

20 **Q.** Okay. We have a video of Mr. ... Corporal Desmond in
21 the ... in a retail shop called Leaves & Limbs sometime
22 proximate to 4 o'clock on January the 3rd. Have you ever seen

DR. FAISAL RAHMAN, Examination by the Court

1 that video?

2 **A.** No. I've not seen the video.

3 **Q.** All right. Thank you.

4 **THE COURT:** So I'm just going to leave that for a
5 moment. Mr. Macdonald ...

6 **MR. MACDONALD:** Oh, thank you very much, Your Honour.

7 **THE COURT:** ... what's your question? Okay.

8

9

CROSS-EXAMINATION BY MR. MACDONALD

10

11 **MR. MACDONALD:** Good morning again, Dr. Rahman.

12 **A.** Yes.

13 **Q.** I won't be very long. So Mr. Hayne took you through
14 texts that Mr. Desmond was sending, while he was at St.
15 Martha's, to his wife. And it's the one about ... as I
16 understand the quote ... I've seen it. I've read it before.
17 "I'm sorry I put my hands up to you. I would never hit you."
18 If you had known about that text being sent and those words
19 being used when you interacted with him, would that have given
20 you any more pause for concern in terms of the domestic violence
21 potential?

22 **A.** Yes.

DR. FAISAL RAHMAN, Cross-Examination by Mr. Macdonald

1 **Q.** Thank you.

2 **THE COURT:** Thank you. Before I turn to Mr. Murray and
3 Mr. Russell, anyone else have any additional questions? No?
4 Thank you. Mr. Murray, Mr. Russell?

5 **MR. MURRAY:** Was Your Honour planning on taking a lunch
6 break?

7 **THE COURT:** So it's 12:30. I know that I mentioned to
8 counsel the other day that we were going to have to break early
9 because it's a Wednesday and there's a council meeting today.
10 And I was advised that there's actually a meeting before council
11 meeting. So we realistically have to break at 2:30 today. So I
12 think we're going to take a break for lunch. Take an hour.
13 Come back at 1:30.

14 Mr. Murray may have some questions for Dr. Rahman. I have
15 a few questions for Dr. Rahman and, in fact, I'll tell counsel,
16 in case you want to have a look at it in the interim, is the
17 video from Leaves & Limbs, I'm going to make arrangements to
18 have that played in court this afternoon while we have Dr.
19 Rahman here and let him have an opportunity to review it. And
20 then I might have a couple questions for him and if counsel have
21 any questions follow up to that. And then we will be out of
22 here for 2:30 at that point in time. So I expect we'll take up

DISCUSSION

1 the rest of the afternoon dealing with that bit of evidence.

2 So if there are witnesses here that were expecting to
3 testify this afternoon, I think they can be released and plan on
4 having them here tomorrow morning, subject to whatever
5 discussions we have about tomorrow and what the weather might
6 bring. We'll adjourn until 1:30. Thank you, Doctor. Thank
7 you.

8 **COURT RECESSED (12:36 HRS)**

9 **COURT RESUMED (13:36 HRS)**

10 **THE COURT:** What's the exhibit number on this?

11 **THE CLERK:** What exhibit number? It hasn't been
12 entered, Your Honour, as an exhibit but it's Inquiry number 68.

13 **THE COURT:** Right. This is Inquiry document number 68.
14 It's going to be entered as the next numbered exhibit. We'll
15 get that updated. I wanted Dr. Rahman to see it.

16 **EXHIBIT P-000112 - INQUIRY DOCUMENT 68 - SECURITY VIDEO FROM**
17 **LEAVES & LIMBS - JANUARY 3, 2017**

18

19 **EXAMINATION BY THE COURT**

20

21 **THE COURT:** Dr. Rahman, I'm just going to give you a
22 little background on this. This is a security video from an

DISCUSSION

1 establishment called Leaves & Limbs. It was obtained following
2 these events. And you'll see that the date on the time of the
3 ... the date is January 1st and the time is 4 o'clock. We'll
4 blow that up in a minute.

5 **A.** Yeah. Sure. Yeah.

6 **Q.** All right. I can tell you that the ...

7 **MR. MURRAY:** Your Honour, you may have said January 1st.
8 It's January 3rd.

9 **THE COURT:** Sorry. January 3rd.

10 **MR. MURRAY:** 3rd. Yeah.

11 **THE COURT:** Right. Thank you, Sorry. It was January
12 3rd. This is the location at which Corporal Desmond purchased
13 the firearm that was used later that day. We know, I think
14 generally, from the documents that have been provided, some of
15 the other evidence called, was received by the RCMP, a 9-1-1
16 call, some time proximate to 6 o'clock that same day. So from 4
17 o'clock to 6 o'clock, we're probably two hours out from the
18 event. And this is after ... later in that day when we know
19 that Corporal Desmond had also rescheduled his mental health
20 appointment for January the 18th and had spoken to his therapist
21 that afternoon as well.

22 And, generally, we have him in the store and you'll see his

DR. FAISAL RAHMAN, Examination by the Court

1 ... there's no audio. This is all video. So I was just going
2 to ask you to have a look at it and I'm interested in whether
3 you have any observations to make about the way he moves, his
4 apparent demeanour in the context of whether or not you could
5 offer any opinion as to whether or not he was exhibiting, just
6 from his behaviour that you could see, anything that might
7 suggest either psychosis or agitation, because it's so close in
8 time to the shootings.

9 I can tell you that our expectation is, as well, that the
10 person that's seen behind the counter will testify and has
11 provided information to suggest that his interaction with
12 Corporal Desmond at that time was not other than he would expect
13 of somebody in that situation, looking at firearms and buying
14 firearms and having discussions and engaging in discussions
15 about firearms. He appeared to be knowledgeable about what he
16 was talking about. We'd expect that, given the nature of his
17 training. All right? So we'll let you watch it. We'll play it
18 through. If you want to see it a second time or if there's some
19 reason to stop it, just let us know.

20 **A.** Sure.

21 **Q.** All right?

22 **A.** Okay.

DR. FAISAL RAHMAN, Examination by the Court

1 Q. So that's the purpose of it ...

2 A. Okay.

3 Q. ... at this time. All right. Thank you. So if we
4 could play the video and maybe bring it into full screen.

5 **VIDEO COMMENCED (13:41 HRS)**

6 Q. It's about 15 or 16 minutes long.

7 **VIDEO PLAYING**

8 Q. Thank you. You can stop it there.

9 **VIDEO CONCLUDED (14:03 HRS)**

10 Q. I realize that that's the first time you've seen that
11 and it's ... I thought it was 15 minutes. It's more like 20
12 minutes but ...

13 A. Yes.

14 Q. ... it would give you an opportunity to have watched
15 some of Corporal Desmond's actions on that day at that time.

16 A. Yes, Your Honour.

17 Q. What do you see there?

18 A. So my general mental status without interacting with
19 him, just watching him on the video, would be that he appeared
20 to be calm and composed. He appeared to be engaging with the
21 business owner. He was able to concentrate and decisive also in
22 terms of selecting ... in terms of, first of all, browsing and

DR. FAISAL RAHMAN, Examination by the Court

1 looking around. He picked about four guns and then he came back
2 to the third gun that he had picked. So that clearly shows that
3 he was coherent. He was decisive. He was not in a haste. He
4 was not in a hurry. He made sure that the business owner was
5 able to engage with him enough that he looked as a serious
6 buyer.

7 There was no psychomotor agitation or retardation.
8 Initially, he was ... his hands were in his pocket. He would
9 take it out. He would walk. He would browse. In terms of
10 selection, the ammunition, he again looked around two or three
11 different kind of ammunition packets and was able to make a
12 decision and select one of them, so decisive.

13 **Q.** After he was looking at the ammunition, it appears
14 like they have a discussion about a case for the rifle.

15 **A.** Yes. Yeah. So the case piece would be again in the
16 same line. Looked around couple of cases but eventually did not
17 buy a case. Wrapped around in that ... the ...

18 **Q.** It's almost like ...

19 **A.** So then ...

20 **Q.** ... a shrink wrap.

21 **A.** Yeah. And ... but, at the same time, he was cognizant
22 enough that he had the owner to put the gun case back into the

DR. FAISAL RAHMAN, Examination by the Court

1 plastic bag and put it back where it came from. So it takes a
2 lot of coordination, articulateness, and able to complete a
3 financial deal there, purchasing a firearm with the ammunition.
4 He had probably enough knowledge of what he was doing. New guns
5 ... he looked at the new guns initially, first, I believe, and
6 then there were used guns. He went on to the used guns section,
7 that was a decision also.

8 His wallet was lying ... he gave, I think, the license or
9 whatever he gave and then his wallet was lying. He was
10 attentive enough to go back and pick up his wallet and put it
11 back in his pocket. He didn't forget it. Again, no psychomotor
12 agitation/retardation, not in a hurry. The dealing that it
13 appeared to be with the business owner seemed to be that he was
14 cognitively intact to proceed with his decision and make this
15 transaction happen.

16 So I cannot comment on his speech or other thought
17 processes at the time, but it appeared to be a normal buy,
18 buying a gun, in the right state of mind. There was somebody
19 else in the shop initially. That gentleman left and there's
20 another one who came in. It did not bother him. He was pretty
21 ... remained pretty calm and composed and was able to continue
22 with the interaction with the business owner. It did not

DR. FAISAL RAHMAN, Examination by the Court

1 distract him. He took his time. That would be my assessment.

2 Q. All right. Thank you.

3 **THE COURT:** Does anyone have any questions? No? Thank
4 you. Mr. Murray or Mr. Russell, you may have had some questions
5 of Dr. Rahman other than the video, so go ahead.

6

7

RE-DIRECT EXAMINATION

8

9 **MR. MURRAY:** Just a couple of points on your earlier
10 cross-examination. Just for clarification for my own benefit,
11 you had said in answer to a question that you believed that
12 Lionel Desmond's status, that was the word you used, had changed
13 between his release ... or his discharge, I should say, on
14 January 2nd and the events of January 3rd. When you use that
15 term "status", are you referring to a mental health status and a
16 mental health diagnosis? Is that the way I understand that term
17 or is it more general or something different?

18 A. I think I used the word status change in the
19 intervening period.

20 Q. Yes.

21 A. And so I cannot say for sure in terms of ... I think
22 it's a mixture of mental status and his actions. In my view,

DR. FAISAL RAHMAN, Re-Direct Examination

1 "status" also would be how I saw him and perceived him, how the
2 ER doctor saw him/perceived him, how the staff saw him and
3 perceived him. That status was different than what eventually
4 ... ultimately what happened. I cannot comment on his state of
5 mind and status at the time but that status that we saw was not
6 the status that somebody would proceed to engage in these
7 actions.

8 Q. No. No, that's fair. I guess I wanted to understand
9 how you were using the term "status", just to understand.

10 A. Yeah.

11 Q. So it's more than just mental health diagnosis.
12 You're talking about his whole presentation when you use the
13 term "status"?

14 A. Yes. Yes.

15 Q. Okay.

16 A. And, again, I would add here this would be something
17 that a forensic psychiatrist who has an expertise in capacity to
18 stand trial and criminal responsibility and they are very
19 trained to know and understand what might have been going on in
20 his thought process at the time. I think ... I don't ... I'm
21 not that experienced or don't have that expertise.

22 Q. Yes.

DR. FAISAL RAHMAN, Re-Direct Examination

1 **A.** I have never worked in the forensic system.

2 **Q.** Yes.

3 **A.** This is almost like a forensic situation. I think I
4 would not be able to comment.

5 **Q.** And a forensic psychiatrist may be able to express
6 those types of ...

7 **A.** I hope so.

8 **Q.** Just in terms of what you saw in the video, just in
9 terms of demeanour and the way that Lionel Desmond was acting
10 and moving, how did that compare to when you saw him on January
11 1st and 2nd?

12 **A.** This was a different situation. This was ...

13 **Q.** Understood.

14 **A.** ... a different environment. When I saw him, he was
15 in a room with a comfortable couch and so forth. He was
16 sitting. He was ... but his affect here was ... it was
17 relatively flat as compared to how I saw him and perceived him.
18 He was more reactive at the time.

19 **Q.** Okay.

20 **A.** But he appeared ... his face appeared to be ... there
21 were not too many expressions.

22 **Q.** Yes. On the video.

DR. FAISAL RAHMAN, Re-Direct Examination

1 **A.** On the video.

2 **Q.** So at least something of an assessment of someone's
3 affect, you could get without actually hearing him talk, just
4 like looking ...

5 **A.** Yes.

6 **Q.** ... at his face?

7 **A.** Yeah.

8 **Q.** Okay.

9 **A.** Because when he turned around, I looked at his face
10 and tried to make an assessment as much as I could.

11 **Q.** All right. I just have a couple of other general
12 questions just before we conclude. The ... when Lionel Desmond
13 attended at hospital, it was obviously after hours and it would
14 be, well, a holiday as well.

15 **A.** Yeah.

16 **Q.** Had it been a weekday and through the day and he had
17 been seen by the crisis team, is it your understanding that they
18 would have completed a risk assessment tool when they saw him or
19 would they have ... like physically completed the paper, do you
20 think or ...

21 **A.** Yes.

22 **Q.** Okay.

DR. FAISAL RAHMAN, Re-Direct Examination

1 **A.** And that had happened on ...

2 **Q.** Understood.

3 **A.** ... October 21st that ...

4 **Q.** Right. It happened on October 24th.

5 **A.** It would have been the same procedure.

6 **Q.** And it would have been done again.

7 **A.** Yes.

8 **Q.** Okay.

9 **A.** Absolutely.

10 **Q.** If a person attends at one of the other smaller
11 hospitals in this region ...

12 **A.** Yeah.

13 **Q.** ... they wouldn't have access to the mental health
14 crisis team.

15 **A.** No.

16 **Q.** Okay. Would they have access to the mental health
17 crisis team at St. Martha's?

18 **A.** Yes.

19 **Q.** How would that work? Would they be asked to go there
20 or would the crisis team come to them or how would that work?

21 **A.** So it depends how they present in the community
22 hospital like Guysborough or Sherbrooke or Strait Richmond or

DR. FAISAL RAHMAN, Re-Direct Examination

1 Canso, so forth. They are assessed by the ER physician. Triage
2 system is the same, but the ER physician ... they're assessed.
3 And then the ER physician will call during the daytime when the
4 crisis team is on. They will call the crisis team. Or they can
5 talk to the psychiatrist directly also. So that is an option.
6 It depends upon how one presents in the community hospital.
7 They can be either transported with the family or mostly it is
8 via EHS.

9 **Q.** Okay.

10 **A.** Because they are ... there's enough ... if they meet
11 the criteria in terms of suicidality or agitation or there are a
12 lot of overdoses and stuff like that, then they're transported
13 by EHS and they are brought to the ER at St. Martha's Regional
14 Hospital daytime until 5, 6 o'clock ... it's until 6 o'clock,
15 but by 5 o'clock the crisis team stops to see ... take new
16 patients. They're done at 6.

17 So during the daytime they will be assessed by the crisis
18 and then a psychiatrist will be get involved, bypassing the ER
19 physician at St. Martha's because they're already seen by ER
20 physician at the community hospital. If it's ... this is during
21 their daytime hours and if it's a weekend or holidays or after
22 hours, the physician will directly contact the on-call

DR. FAISAL RAHMAN, Re-Direct Examination

1 psychiatrist.

2 Q. Yes.

3 A. And they would then decide, the on-call psychiatrist,
4 whether the patient would come to the ER at St. Martha's and
5 they will be assessed there as a consult service, or if there's
6 enough evidence or if we know somebody then there's an option of
7 directly admitting patient from the Strait Richmond via
8 psychiatrist to the inpatient mental health unit and the
9 psychiatrist assesses them on the unit.

10 Q. So it is very much a case-by-case ...

11 A. Case-by-case. If it's too ... we have our 24/7
12 service, but if it's too late at night and the patient is
13 stable, then there's a possibility it's more of a direct
14 admission to the inpatient unit and the psychiatrist can give
15 orders on the phone at night and will see them the next day.
16 And ... but they do go through all the nursing assessment on the
17 unit.

18 Q. Right.

19 A. If the nurse feels that they need psychiatrist at any
20 hour, then the psychiatrist ... or the on-call person from
21 Psychiatry is available to come to the hospital.

22 Q. Okay. You had said ... I think there have been some

DR. FAISAL RAHMAN, Re-Direct Examination

1 questions about ... we've talked about the suicide risk
2 assessment tool and that there isn't really a homicide risk
3 assessment tool or no tool to assess the risk of homicidality,
4 if that's the correct word.

5 **A.** Yeah.

6 **Q.** You're not aware of any such tool being developed or
7 any ...

8 **A.** I'm not aware.

9 **Q.** All right.

10 **A.** It's very rare that we come across patients but ...
11 the tool is not there but the crisis team and the psychiatrist,
12 we are trained to ask those kind of questions. And if there's
13 any risk that they would meet the criteria of involuntary
14 hospitalization also and they are admitted and ... so there is
15 ... so that's how ...

16 **Q.** Right.

17 **A.** ... we would conduct business.

18 **Q.** And just one last question.

19 **A.** Yeah.

20 **Q.** The ... there were some questions about the use of
21 cannabis and I understand that ...

22 **A.** Yeah.

DR. FAISAL RAHMAN, Re-Direct Examination

1 **Q.** ... you're not an expert in that or you don't
2 prescribe it yourself. If you're able to answer this, Can the
3 use of cannabis either as medical marijuana or else ... or not,
4 can that interfere with other forms of psychiatric treatment
5 like psychotherapy or cognitive behavioural therapy if someone
6 is using ... actively using marijuana?

7 **A.** Absolutely.

8 **Q.** If someone comes to you and is a candidate for
9 psychotherapy, let's say, and you know that they are a consumer
10 of cannabis, would you prefer that they stop or would you give
11 them any advice in that regard?

12 **A.** We would advise them to refrain from smoking
13 marijuana. It's up to the patient.

14 **Q.** And is that also true of a product that was low in THC
15 and perhaps higher in CBD or ...

16 **A.** It's person to person. It depends how one is
17 reacting.

18 **Q.** Yes.

19 **A.** So it just depends.

20 **Q.** Right.

21 **A.** And different people respond differently, and amount
22 they are smoking, the frequency they are smoking. And it's not

DR. FAISAL RAHMAN, Re-Direct Examination

1 only marijuana. It could be polysubstance abuse also.

2 Q. Yes.

3 A. Alcohol inclusive.

4 Q. Yes.

5 A. We ... our message to the patients is that their
6 brains are vulnerable. They cannot tolerate these illicit drugs
7 or legal drugs or alcohol and we advise them to refrain from it.
8 However, marijuana use is very common. We don't restrict their
9 access to our services, even if they're in therapy and patients
10 are using, but they're managing themselves. They can manage in
11 the community. It's not affecting their occupational or social
12 or any other important area of functioning. We don't put any
13 restrictions, but our advice is always that ... to minimize or
14 refrain. They also interfere with the psychiatric medications
15 also.

16 Q. It can?

17 A. It can.

18 Q. Yes.

19 A. It can. And so that is usually our advice.

20 Q. Okay. All right. Thank you, Dr. Rahman.

21 A. Thank you.

22 **THE COURT:** All right. Thank you, Dr. Rahman. I think

DR. FAISAL RAHMAN, Re-Direct Examination

1 we're finished with your evidence. Appreciate your time. Thank
2 you very much and you're free to go for now.

3 **DR. RAHMAN:** Thank you, Your Honour.

4 **THE COURT:** Thank you.

5 **WITNESS WITHDRAWS (14:22 HRS)**

6 **THE COURT:** This is the evidence ... that's the end of
7 the evidence for the day. I think we're going to adjourn for a
8 few minutes. I'm going to ask counsel to have a discussion
9 about a start time tomorrow. I understand there's been some
10 discussion whether we start at 9:30 tomorrow. I know there's
11 some weather expected. I don't know how that impacts on
12 everyone in the room. So you should have a discussion. I'm
13 prepared to consider whatever the consensus position is in terms
14 of starting. We'll adjourn for maybe ten minutes. You can have
15 a discussion and we'll decide. Thank you.

16 **COURT RECESSED (14:23 HRS)**

17 **COURT RESUMED (14:29 HRS)**

18 **THE COURT:** Thank you. I understand that counsel had an
19 opportunity to have a discussion with regard to continuation of
20 these proceedings tomorrow and there would be a consensus that,
21 in all the circumstances given counsel's travel and what the
22 expectations for weather are, particularly for tomorrow, that

DISCUSSION

1 we're going to adjourn today and we will resume on Monday
2 morning at 9:30. All right? Thank you.

3 **COURT ADJOURNED (14:30 HRS)**

4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

CERTIFICATE OF COURT TRANSCRIBER

I, Margaret Livingstone, Court Transcriber, hereby certify that the foregoing is a true and accurate transcript of the evidence given in this matter, **re Desmond Fatality Inquiry**, taken by way of electronic digital recording.



Margaret Livingstone

(Registration No. 2006-16)

Verbatim Inc.

DARTMOUTH, NOVA SCOTIA

February 10, 2020