

CANADA

PROVINCE OF NOVA SCOTIA

IN THE MATTER OF THE
FATALITY INVESTIGATIONS ACT
S.N.S. 2001, c. 31

THE DESMOND FATALITY INQUIRY

TRANSCRIPT

HEARD BEFORE: The Honourable Judge Warren K. Zimmer

PLACE HEARD: Port Hawkesbury, Nova Scotia

DATE HEARD: February 23, 2021

COUNSEL: Allen Murray, QC, Inquiry Counsel
Shane Russell, Esq., Inquiry Counsel

Lori Ward and Melissa Grant,
Counsel for Attorney General of Canada

Glenn R. Anderson, QC, and Catherine Lunn
Counsel for Attorney General of Nova Scotia

Thomas M. Macdonald, Esq., and
Thomas Morehouse, Esq.
Counsel for Richard Borden, Thelma Borden and
Sheldon Borden
Joint Counsel for Aaliyah Desmond

Tara Miller, QC,
Counsel for Estate of Brenda Desmond
(Chantel Desmond, Personal Representative)
Joint Counsel for Aaliyah Desmond

Adam Rodgers, Esq.
Counsel for Estate of Lionel Desmond
(Cassandra Desmond, Personal Representative)

Roderick (Rory) Rogers, QC, Karen Bennett-Clayton
and Daniel MacKenzie,
Counsel for Nova Scotia Health Authority

Stewart Hayne, Esq.
Counsel for Dr. Faisal Rahman and Dr. Ian Slayter

INDEX

<u>February 23, 2010</u>	<u>Page</u>
OPENING REMARKS	6
<u>DR. VINOD JOSHI</u>	
Direct Examination by Mr. Murray	7
Cross-Examination by Mr. Macdonald	121
Cross-Examination by Ms. Miller	129
Cross-Examination by Mr. Rodgers	140
Cross-Examination by Ms. Grant	155
Examination by the Court	177

EXHIBIT LIST

<u>Exhibit</u>	<u>Description</u>	<u>Page</u>
P-000174	<i>Curriculum Vitae</i> of Dr. Vinod Joshi	8
P-000183	Psychiatric assessment of September 28, 2011	35
P-000188	Psychiatry Progress Report - October 5, 2011	61
P-000189	Psychiatry Progress Report - October 27, 2011	68
P-000219	Medical Report - January 27, 2012	69
P-000220	Psychology Progress Report of Dr. W. Rogers - February 9, 2012	71
P-000190	Psychiatry Progress Report - May 3, 2012	74
P-000191	Psychiatry Progress Report - June 6, 2012	75
P-000193	Psychiatry Progress Report - October 2, 2012	77
P-000184	Letter Dated October 28, 2012	78
P-000194	Psychiatry Progress Report - November 6, 2012	80
P-000199	Psychiatry Progress Report - December 13, 2012	81

EXHIBIT LIST

<u>Exhibit</u>	<u>Description</u>	<u>Page</u>
P-000222	Psychology Progress Report of Dr. W. Rogers - February 19, 2012	82
P-000185	Psychiatric Assessment - September 25, 2013	84
P-000187	Complexity Assessment Interview Questionnaire - November 18, 2013	87
P-000186	Medical Examination for Administrative Purposes - October 22, 2014	92
P-000136	Request for Tertiary Investigation - September 22, 2014	100
P-000216	Psychiatry Progress Report - - February 18, 2015	105
P-000217	Psychiatry Progress Report - - April 16, 2015	112
P-000225	Dependency assessment of May 20, 2015	114
P-000218	Psychiatric progress note - June 16, 2015	115
P-000226	Discharge summary of June 13, 2016	117

1 FEBRUARY 23, 2021

2 COURT OPENED (09:33 HRS)

3

4 THE COURT: Thank you. Good morning.

5 COUNSEL: Good morning, Your Honour.

6 THE COURT: Good morning, Dr. Joshi.

7 DR. JOSHI: (No audible response)

8 THE COURT: Not good.

9 MR. MURRAY: Good morning, Doctor. Are you still able to
10 hear us?

11 DR. JOSHI: Yes. Good morning. Good morning, everyone.

12 THE COURT: All right. Have you had a discussion with
13 Dr. Joshi with regard to his evidence, whether he wishes to be
14 sworn or make a solemn declaration? Has anyone asked?

15 MR. MURRAY: We have not. I don't know. May have to ask
16 him. Doctor, the Clerk is going to swear you in. You have a
17 couple of choices. She's going to tell you what your choices
18 are for being sworn.

19 DR. JOSHI: Okay.

20

21

22

1 **DR. VINOD JOSHI, affirmed, testified:**

2 **THE COURT:** Thank you. Mr. Murray?

3 **MR. MURRAY:** Thank you.

4

5 **DIRECT EXAMINATION**

6

7 **MR. MURRAY:** Doctor, can you tell the Inquiry your full
8 name, please?

9 **A.** My name is Dr. Vinod Joshi.

10 **Q.** All right. And just so that I'm ... I want to be very
11 careful. Your last name, I want to pronounce it properly, is
12 JOESH-ee?

13 **A.** Correct. Yeah.

14 **Q.** Okay. And how are you employed, Dr. Joshi?

15 **A.** So I'm currently working part time at a mental health
16 clinic in Gagetown with the Canadian Forces. So I'm a civilian
17 contractor here. And other part-time, I work in Saint John with
18 a community mental health clinic. So in Gagetown, I see
19 predominantly active soldiers as my patients and in Saint John,
20 I see civilian, like provincial ... it's a Government of New
21 Brunswick health clinic.

22 **Q.** And how much of your time is spent in the private

DR. VINOD JOSHI, Direct Examination

1 clinic and how much is spent with your work with the Canadian
2 Armed Forces?

3 **A.** So 50 percent of my time is with the Canadian Forces,
4 other 50 percent of time is with the Saint John mental health
5 clinic.

6 **Q.** Your relationship with the Canadian Armed Forces, are
7 you an employee or are you a contractor? How is that ...

8 **A.** No. I'm a civilian contractor for the Canadian
9 Forces. I'm not a Canadian Forces member.

10 **Q.** Okay. Thank you. Dr. Joshi, are you still able to
11 hear us okay? Just your picture froze up there.

12 **A.** Yes. Yes. Yes.

13 **Q.** Okay. Did we freeze up or ...

14 **A.** Yeah, I can hear you.

15 **Q.** Okay. Are we frozen, too, or ...

16 **A.** No, no, you're fine. I can hear you.

17 **EXHIBIT P-000174 - CURRICULUM VITAE OF DR. VINOD JOSHI**

18 **Q.** Okay. All right. So, Dr. Joshi, I want to show you
19 an exhibit which you provided to us. It's marked as Exhibit
20 174. It's your *curriculum vitae*. And I just wanted to ask you
21 some questions about that.

22 **A.** Okay.

DR. VINOD JOSHI, Direct Examination

1 **Q.** I think we're going to bring it up on the screen.

2 **A.** Is it on? I can't see the screen.

3 **Q.** I think it's coming.

4 **A.** Okay.

5 **Q.** Are you able to see it now?

6 **A.** I need to increase the ... yes, I can see it.

7 **Q.** All right.

8 **A.** Okay. Yeah.

9 **Q.** Great. So I just want ...

10 **A.** Yes, I can see it.

11 **Q.** Okay. Thank you. I just wanted to ask you some
12 questions then about your training and qualifications.

13 **A.** Okay.

14 **Q.** And so maybe we can start just at the beginning with
15 your education. You received a degree, MBBS, from Bombay
16 University. What is that degree?

17 **A.** So MBBS is a basic medical qualification that
18 qualifies me as a doctor. In India, it's called "MBBS", which
19 would be kind of corresponding to "MD" in North America. It's a
20 basic undergraduate medical degree.

21 **Q.** Okay. So you received your medical degree in 1985 and
22 then you went on to study psychiatry, I take it.

DR. VINOD JOSHI, Direct Examination

1 **A.** Correct.

2 **Q.** And I see that you received degrees in psychiatry or
3 specialty in psychiatry at ...

4 **A.** Correct. So I join ...

5 **Q.** ... Bombay University.

6 **A.** Yeah. I joined psychiatric post-graduation
7 qualification in India and I completed that in '89 from Bombay
8 University in India.

9 **Q.** All right. And you have worked as a psychiatrist then
10 since that time, have you?

11 **A.** Yes. I've been working in psychiatry since 1986,
12 initially as a trainee and, you know, it's ongoing since then.

13 **Q.** After studying in Bombay, you went to the United
14 Kingdom and practiced there for a period of time, did you?

15 **A.** Yes. I went in United Kingdom. I work there for four
16 years. During that time, I completed examination which is like
17 a post-graduate examination by Royal College of Psychiatrists in
18 U.K. So that gives me qualification of MRC Psychiatry. I also
19 did a Diploma in Psychological Medicine by Royal College of
20 Surgeons in Ireland. So that was completed in 1994.

21 **Q.** I see. So did you practice in Ireland as well as the
22 United Kingdom?

DR. VINOD JOSHI, Direct Examination

1 **A.** No. I practice in United Kingdom. This exam was held
2 by Ireland so I just went there for exam.

3 **Q.** Right. Okay. And you were there in the United
4 Kingdom, you said, for four years?

5 **A.** Correct. Yeah.

6 **Q.** And at some point you came to Canada. When did you do
7 that?

8 **A.** So I came in Canada in February 1996 in Saint John,
9 New Brunswick.

10 **Q.** All right. And just before we move to your work in
11 Canada and in the Province of New Brunswick, there was one part
12 of your education I wanted to ask you about. You were a PhD
13 candidate and you studied ...

14 **(09:40)**

15 **A.** Yes.

16 **Q.** ... or did work on the issue of PTSD in Bhopal Gas
17 Disaster victims. Is that the first time that you became
18 interested in post-traumatic stress disorder or that you studied
19 it?

20 **A.** Yes. I think that was the first time I got involved
21 more intensely with PTSD. So this was related to the industrial
22 accident in 1984 in India and there was a lot of PTSD in that

DR. VINOD JOSHI, Direct Examination

1 particular city, so we were involved in collecting data
2 information about the prevalence and study in that population.
3 Unfortunately, I left India to ... went to U.K.; therefore, I
4 couldn't complete the PhD.

5 **Q.** The Bhopal Gas Disaster was obviously a very
6 significant event. You had said a little bit about it. You
7 might remind us what happened.

8 **A.** So there were industrial Union Carbide plant which
9 leaked a chemical called methyl isocyanate and the gas leaked
10 into population at night. And there were ... if I remember
11 correctly, over 2000 people died and over 100,000 people were
12 suffering from various physical and psychological trauma. So
13 the ... I mean the victims were eventually exhibiting a lot of
14 signs of PTSD. And the study was kind of done in the context of
15 submitting the report to the courts for compensation-related
16 issues about the victims.

17 **Q.** There was significant trauma, I would take it, after
18 that and many people who were suffering from post-traumatic
19 stress disorder.

20 **A.** That's correct.

21 **Q.** Did that continue to be an area of interest for you
22 for study and treatment?

DR. VINOD JOSHI, Direct Examination

1 **A.** So then I went to U.K. So I studied various
2 subspecialty in psychiatry. And you would see PTSD patients,
3 you know, in civilian population in England, like any other
4 psychiatric condition. So it was part of general, you know,
5 experience in multiple psychiatric disorders or conditions. So
6 it was not specifically geared towards PTSD while I was in
7 England, it was rotating through different subspecialties of
8 psychiatry.

9 **Q.** Right. Okay. And your area of psychiatry, would you
10 call it adult psychiatry?

11 **A.** Correct. It would be adult psychiatry, yeah.

12 **Q.** Okay. And that would be the treatment of all
13 psychiatric conditions that an adult may incur?

14 **A.** Correct.

15 **Q.** All right. So you said you came to Canada in 1996 and
16 ...

17 **A.** Uh-huh.

18 **Q.** ... specifically to the Province of New Brunswick.
19 What brought you to New Brunswick?

20 **A.** So as I was finishing my degrees in U.K., I was
21 exploring different options. So at that time I was contacted by
22 the recruiting organization here in Saint John. So one thing

DR. VINOD JOSHI, Direct Examination

1 led to another and I decided to come to Canada.

2 Q. Okay. And, initially, you worked for Mental Health
3 Services, Horizon Hospital, in Saint John, New Brunswick?

4 A. Yes, I did. Yeah.

5 Q. You said specifically from 1996 to 2007 you were
6 working with serious mental illness and forensic psychiatric
7 teams. What was the ...

8 A. Yes.

9 Q. ... nature of the work with the serious mental illness
10 and forensic psychiatric teams for Horizon's Hospital?

11 A. So, at that time, Saint John, New Brunswick, was going
12 through deinstitutionalization. So there was an old psychiatric
13 hospital called Centracare that was downsized. So, at one
14 point, it had over 400 patients. And the new hospital was being
15 built with 50-patient capacity. So we developed a team of
16 community mental health services to facilitate patients who were
17 in psychiatric hospital and settle patients in community. So it
18 was kind of getting out into community and establishing their,
19 you know, life in community. So I was part of that team.

20 So, in that, there were many people who might have conflict
21 with the law when they were sick. So it started at the
22 downsizing of the Centracare, or the psychiatric hospital. But

DR. VINOD JOSHI, Direct Examination

1 in due course, we started to get more and more patients from
2 community who were freshly diagnosed with psychiatric condition.
3 And then, over time, it became ... you know, patient we'd see
4 has mental illness like schizophrenia, bipolar disorder, autism,
5 different other complex personality disorders. So that was my
6 main role.

7 Q. All right. And a wide range of psychiatric conditions
8 that you'd be dealing with in that capacity?

9 A. That's right. Yes.

10 Q. So in 2007, it was then that you began your work with
11 the Canadian Armed Forces, was it?

12 A. That's right. So in 2007, there was a major rota that
13 went from Canadian Forces to Afghanistan from Gagetown. So the
14 Forces were anticipating, you know, high psychiatric problems
15 after members coming back, so they were recruiting psychiatrists
16 from the Province of New Brunswick. So I got interested and I
17 approached and that's how I started working in Gagetown. Then I
18 down ... I mean I moved from full time in Saint John to part
19 time. So since then I've been working part time in Gagetown and
20 part time in Saint John.

21 Q. And the work that you do in Gagetown, you're
22 physically there in Gagetown, are you, working with the

DR. VINOD JOSHI, Direct Examination

1 soldiers?

2 **A.** Yes. I'm physically here. Now with COVID, sometime I
3 do work from home, but until COVID, yes, I would come here, you
4 know, two to three times a week.

5 **Q.** Okay. So the anticipation when the Canadian Armed
6 Forces recruited psychiatrists was that there would be soldiers
7 who would need additional treatment after the Afghanistan
8 mission?

9 **A.** Correct. Yes.

10 **Q.** What did you anticipate that the nature of your work
11 would be when you were recruited? Was it ... did you think it
12 would involve post-traumatic stress disorder?

13 **A.** Yes. So, at that time, I think situation in
14 Afghanistan was very difficult and we were anticipating that my
15 workload will involve predominantly PTSD-related patients.

16 **Q.** All right. And your CV says that since that time
17 you've worked with patients with various psychiatric disorders,
18 predominantly PTSD, anxiety and depressive disorders. Would
19 those be the broad categories of conditions that you would see
20 most often?

21 **A.** Yes. So in Canadian Forces, in the clinic here, when
22 I join, first several years when Afghanistan-related patients

DR. VINOD JOSHI, Direct Examination

1 were predominantly coming for help, I would say, you know,
2 majority of my practice would involve PTSD. But as Afghanistan
3 mission is over and now it's more mixture of various ... so PTSD
4 might have reduced in terms of percentage of people I see. So
5 now I will see any psychiatric disorder that might be present in
6 soldiers, so various anxiety, depression, personality disorder,
7 a few with psychosis. It's now much more varied last few years
8 compared to, say, 2007 until, you know, first several years. It
9 was predominantly PTSD.

10 **Q.** How many years would you say that it was predominantly
11 PTSD you were seeing?

12 **A.** I would roughly say maybe 2015/'16 until we were
13 getting kind of more and more patients coming forward for help
14 with PTSD.

15 **Q.** All right. The ... would you say that you have an
16 expertise in treating post-traumatic stress disorder?

17 **A.** I mean I certainly have, you know, experienced and
18 seen many PTSD patients. At one time, I was only psychiatrist
19 in the clinic, so that time I was seeing everybody who was
20 coming here. Now, we have, you know, few psychiatrists. So,
21 yes, I would say over last 13 years, since 2007, I've seen many
22 patients with PTSD.

DR. VINOD JOSHI, Direct Examination

1 **Q.** All right. And in the category in your CV under
2 "Other Research Experience", there are two studies or research
3 experiences you've had that seem to particularly relate to PTSD.
4 That would be numbers eight and nine, "Combat-Related PTSD,
5 Examining Outcome in Multidisciplinary Care Setting". That was
6 in 2010. And a "Retrospective Review of a Four-Year Period
7 Prevalent to That Versus Psychological and Health Outcomes
8 Associated with Stress of Military Operation". That was in
9 2007. Those were both studies that you worked on that related
10 primarily to occupational stress in the military or post-
11 traumatic stress disorder?

12 **(09:50)**

13 **A.** Yes. So myself and a couple of my colleagues here we
14 looked at, you know, various PTSD patients who are coming to us
15 and outcome and ... one was a retrospective study and one was a
16 kind of outcome in a prospective study.

17 **Q.** All right. And in your CV you talk about, I guess
18 under "Other Experience", training in CBT, CPT, prolonged
19 exposure psychotherapy for PTSD. So I understand "CBT" is
20 cognitive behavioural therapy, is it?

21 **A.** Correct, yes.

22 **Q.** And "CPT" is cognitive processing therapy? Is that

DR. VINOD JOSHI, Direct Examination

1 correct?

2 **A.** Cognitive processing therapy. Yes.

3 **Q.** Right. So you have you engaged in those three forms
4 of treatment or work with patients with post-traumatic stress
5 disorder or that's ...

6 **A.** So although I have training, I might have seen very
7 few patients for therapy because we work here as a
8 multidisciplinary team. So as a psychiatrist, my role is kind
9 of to complement with our ... so we have psychologist, a social
10 worker, other clinician regarding therapy. So because we work
11 together, my role is more migrated to diagnosis, medication
12 management, follow-up. And my colleagues would get to do more
13 therapy. So that way I can see more patients who are coming
14 through and my colleagues who are seeing therapy will focus on,
15 you know, more therapy using these approaches. But I'm familiar
16 with these approaches for therapy.

17 **Q.** All right. And tomorrow we're hearing from Dr. Rogers
18 and I take it, as a psychologist, she would have engaged in
19 those forms of treatment with a number of the patients that you
20 saw?

21 **A.** Yes. So Dr. Rogers and me were colleagues were for
22 several years until her retirement. And so she would have been

DR. VINOD JOSHI, Direct Examination

1 one of the psychologists in our clinic who I would be working
2 collegially towards ... you know, like a multidisciplinary team.

3 **Q.** All right. So just on that point, when you began to
4 work in Gagetown with the Canadian Armed Forces, you said you
5 were the only psychiatrist there initially?

6 **A.** So when I join first, there was a psychiatrist who was
7 there who was ... who can ... oriented me to various subtleties
8 of military life and military mental health services because I
9 am civilian. So when I join, 2007, first two, three months, he
10 kind of oriented me to various aspects of military mental health
11 specifics. And then he left the clinic, so then until they
12 recruited another psychiatrist, I was there for ... I was there
13 alone for a long period of time.

14 **Q.** And you're, I take it, not the only ...

15 **A.** I mean I don't remember exactly when ... what's that?

16 **Q.** Sorry. I was just going to ask you, based on what
17 you've said, you're not the only psychiatrist there now, are
18 you?

19 **A.** No, no. For last several years, we have at least
20 three psychiatrists and another part-time psychiatrist. So we
21 have enough ... like we have a number of psychiatrists in the
22 clinic.

DR. VINOD JOSHI, Direct Examination

1 **Q.** You say there are three now?

2 **A.** Yes. So three ... myself, two other ... (inaudible -
3 poor audio) ... is a military psychiatrist. One is a civilian
4 psychiatrist. And then there's another psychiatrist who comes
5 predominantly for francophone members.

6 **Q.** Okay. You just broke up there a little bit, so I'm
7 just going to ask you to repeat that. You said it was a
8 military psychiatrist and a civilian psychiatrist?

9 **A.** So right now, in addition to me, there's a full-time
10 military psychiatrist, there's a full-time civilian
11 psychiatrist, and there's a part-time psychiatrist who comes to
12 see francophone soldiers.

13 **Q.** Okay. What's the difference between a military
14 psychiatrist and a civilian psychiatrist? Just ... you mean
15 they're employed by the military; one, and the other is a
16 civilian psychiatrist?

17 **A.** Yes. So my colleague military psychiatrist is a
18 major. He's only rank of major, so he's an active soldier. He
19 wears uniform versus me and my colleague, we are civilian. We
20 are working as a contractor for the mental health clinic and
21 same with the other part-time psychiatrist.

22 **Q.** All right. And you said it's a multidisciplinary

DR. VINOD JOSHI, Direct Examination

1 team. What other members are there in the multidisciplinary
2 team?

3 **A.** So, generally, mental health services are kind of
4 divided into mental health and psychosocial. And so in mental
5 health, we will have ... in addition to psychiatrist, we will
6 have a psychologist, social workers, mental health nurses,
7 addiction counsellors. In psychosocial team, we'll have nurses,
8 social workers. So that way we can complement that we have.

9 **Q.** Typically, when you're treating a patient in the
10 Canadian Armed Forces, is there one member of that team ... that
11 multidisciplinary team that coordinates the care or kind of
12 manages it?

13 **A.** So the first kind of entry point would be the family
14 physician equivalent in the Canadian Forces. The acronym is
15 GDMO. So it's a primary care physician who is working for the
16 military. So they will be first person to refer the patient to
17 Mental Health. And then depending on the prevalent issue, it
18 could be either psychiatrist or a psychologist or if addictions
19 are the predominant issue, then maybe addiction counsellor might
20 be the primary treatment provider. And other people might be
21 joining in as needed. So it will be mixture of psychiatrists
22 and psychologists and our social worker who will be following

DR. VINOD JOSHI, Direct Examination

1 the patient.

2 **Q.** Okay. So it's dependent on the nature of the need of
3 the patient? Is that what I understand?

4 **A.** Correct. Yes.

5 **Q.** Okay. And the referral process, you used an acronym
6 there. What was it, GD-something?

7 **A.** GDMO. It's basically the primary care physicians at
8 the base hospital. So each member will have, depending on where
9 they work, they will have a medical officer who is looking after
10 their physical health issues. So a member could present to the
11 primary care physician and if a psychiatric condition is
12 identified, then they could be referred to mental health clinic
13 for assessment and treatment. So that's how the referral will
14 come to Mental Health Services.

15 **Q.** Are there other ways that a soldier can be referred to
16 Mental Health Services?

17 **A.** So other ways that if members are in crisis, they can
18 go ... they can self present, it's kind of walk-in, so there's a
19 staff who is at the base medical clinic by rotation. And if
20 they're in distress, they could present themselves to the base
21 clinic and the staff, usually a nurse or social worker will
22 assess the patient and if they feel that person needs further

DR. VINOD JOSHI, Direct Examination

1 assessment or treatment, they could, in consultation with the
2 primary care physician, refer the patient to see Mental Health.

3 The other way to go would be member might self identify and
4 present to psychosocial team with a particular request. Like
5 they might be interested in anger management or couples
6 counselling or stress management. And that if the clinician
7 identifies that this person needs psychiatric or psychological
8 assessment, they could arrange for referral to be made to us.

9 **Q.** And you mentioned the psychosocial team. And what is
10 that comprised of?

11 **A.** So psychosocial team is a group of clinician that ...
12 in our clinic who will be predominantly dealing with short-term
13 intervention; for example, stress management, workplace-related
14 issues, couples counselling. Some might be involved in anger-
15 management-related issues. Some might be ... if member has any
16 concern about, you know, their posting or their family
17 situation, then ... so predominantly related to psychosocial
18 aspects and they can ... typically, they will see them for short
19 term or if ... either member improves or if the member require
20 further mental health involvement, they might be referred to
21 Mental Health Services.

22 **Q.** If a member of the Canadian Armed Forces may be having

DR. VINOD JOSHI, Direct Examination

1 a family situation, marital problems, there is counseling
2 available for that, is there?

3 **(10:00)**

4 **A.** Yes.

5 **Q.** Are members of your team more broadly trained at all
6 to identify issues of domestic violence or to treat those?

7 **A.** I think so. I think, you know, most of the members
8 are experienced and experienced clinicians, so I think domestic
9 violence is probably, you know, is one of the things they might
10 have come across during their working career.

11 **Q.** Okay. Is it typical for the team to see a member's
12 spouse or to work with them together or is it typically the
13 member themselves?

14 **A.** So when a member comes, we always welcome the spouse
15 or significant family member to be involved, but it becomes
16 member's preference. So some members sometime want their
17 spouses to be involved and many time I have patients who will
18 bring their spouse to every appointment, and some members are
19 extremely private and they do not want their spouses to be
20 involved. So they are ... so we have to respect their wish.

21 Sometimes family members might come for some appointments
22 and they will not come to every appointment so it varies. But

DR. VINOD JOSHI, Direct Examination

1 certainly, it's driven by a member's request and consent but
2 periodically, yes, every family member can be involved.

3 **Q.** If a member presents with some psychological issues
4 and doesn't specifically raise their family situation, is that
5 something that treating professionals will sometimes ask them
6 about or regularly ask them about?

7 **A.** So it's really part of the assessment process that you
8 will inquire about their current family situation, their family
9 of origin issues, their current family relationship issues. In
10 ... different specialty might handle or manage it differently,
11 but certainly, it will be part of the assessment process, or if
12 members bring it to us like, member wants to talk about it,
13 certainly, it will be explored further.

14 **Q.** Okay. When a member is referred to your team for
15 treatment, obviously the length of time that a member is treated
16 is probably largely contingent on what their course of treatment
17 is and what their condition is, but can you say anything about
18 how long you would normally see a soldier who is referred to
19 you?

20 **A.** So there's no kind of upper limit in terms of a
21 ceiling. So sometime some members will have very transient
22 psychiatric problem, so they might start to respond within a few

DR. VINOD JOSHI, Direct Examination

1 weeks, a few months. And if they settle down quickly, then you
2 might discharge them back to care of their family physician.

3 Some members might have longstanding involvement and some
4 members might be seen until they're released from the Canadian
5 Forces because they just need that long-term, ongoing support.

6 **Q.** For members who you are continuing to see right up to
7 the point in time that they're released from the Canadian Armed
8 Forces, what can you tell us about the process of transition
9 from your care to care after they leave the CAF?

10 **A.** So particularly what happens is that when a member is
11 first diagnosed with mental health issues, their family doctor
12 or GDMO, primary care physician, would place them on what is
13 called "temporary category". So temporary category is a six-
14 month provision where a member is given some relaxation in terms
15 of their work expectation, work requirement, work duties, to
16 focus on, you know, helping themselves, like, taking care of
17 their own mental health.

18 So assumption there is that members are going to recover
19 and they're going to go back to their full duty. So this
20 temporary category is of six months' period and they will extend
21 it by another six months, and in some occasion, even by a third
22 six months, but within a year or a year and a half, it becomes

DR. VINOD JOSHI, Direct Examination

1 apparent that member is not able to get back to full duty as a
2 soldier, then this member will be placed by the primary care
3 physician on what is called "permanent category".

4 So permanent category is kind of, then their paperwork is
5 sent to Ottawa to a group that looks at their file, their whole
6 file and situation and determines whether they need to be on
7 permanent category. And if they determine that this person
8 needs ... is unable to meet the expectation of their work, then
9 this person might be getting a medical release process.

10 So once we know that someone is getting medically released
11 then the transitioning starts. And there are various agencies
12 or various people involved in transition planning.

13 So from a mental health point of view, if they have if
14 a member has a VAC ... Veterans Affairs entitlement for their
15 mental health issues, then, typically, this person will be
16 referred to OSI clinic, operational stress injury clinic, in
17 Fredericton for continuity of care.

18 So usually I will start making the referral a few months
19 before their release. We take members' concerns and then we
20 send all the documents to the OSI clinic in Fredericton usually.
21 And then as ... then one of the staff from OSI clinic will
22 usually contact the member and do the intake assessment and get

DR. VINOD JOSHI, Direct Examination

1 that in the system.

2 So I will continue to follow on my ... you know, we will
3 continue to follow member until their day of release and then
4 the OSI clinic takes over the responsibility.

5 If member has any family doctor that they have identified
6 that they are able to get on family physician's list in the
7 community, then we'll send the referral and their documents to
8 family doctor as well.

9 If any member doesn't have a family doctor at the time of
10 their release, then if they get connected with a family doctor
11 and if they sign consent and ask for paper ... their mental
12 health documents to be transferred, then we'll do so.

13 **Q.** So many of the soldiers ...

14 **A.** So this is from the mental health side of things, but
15 there are other agencies or other group of people like case
16 manager who will also be involved in preparing member for
17 transition.

18 **Q.** So many soldiers do transition to the OSI clinic in
19 Fredericton?

20 **A.** Yes. I mean it's a very common kind of process to
21 refer releasing member to OSI clinic in Fredericton. If any
22 member who's leaving who doesn't have Veterans Affairs

DR. VINOD JOSHI, Direct Examination

1 entitlement, then we might refer them to community mental health
2 clinic in Fredericton or nearest clinic in their ... where they
3 are going to relocate after their release.

4 **Q.** Is that the VAC case manager that would typically make
5 those arrangements or determine where the soldier should go for
6 treatment?

7 **A.** So we will typically refer to OSI clinic in
8 Fredericton for people who have Veterans Affairs entitlement and
9 we have case manager here for the ... in our clinic. So I
10 think, between the case manager and mental health nurses, they
11 will liaise with the OSI clinic in terms of referring people to
12 appropriate agency for follow-up.

13 **Q.** Okay. And you said a moment ago that a member who
14 wants their file and signs a ... or wants their file to be
15 transferred to another doctor and signs a consent, that will
16 happen, that you will release the file to that doctor?

17 **A.** Yes, yes.

18 **Q.** Short of that, I guess, short of the member actually
19 signing a consent and saying, I want you to send my file to Dr.
20 so-and-so, that may not happen automatically?

21 **A.** If member doesn't know where he's going or he doesn't
22 have a designated clinician, then it's ... then we will not send

DR. VINOD JOSHI, Direct Examination

1 it to any specific person. But members also have a capacity to
2 go to medical record before they get released and get copies of
3 their medical record printed out so they can have their own kind
4 of copy with them to take it to their, you know, next clinician
5 who is providing care for them.

6 **Q.** And I'm sorry, you said the soldiers have the ability
7 to go to whom to have their medical file printed off?

8 **A.** There's a medical record division or medical record
9 department, so they can go to medical record and get a printout
10 of their (inaudible - audio quality) ...

11 **(10:10)**

12 **Q.** Is that something that ... sorry?

13 **A.** ... documents and ...

14 **Q.** I'm sorry. Is that something that happens
15 automatically or is that something that the member has to go and
16 take the initiative?

17 **A.** Sorry (inaudible - audio quality).

18 **Q.** I was asking about ...

19 **A.** So as they are leaving, as members ... so as members
20 are leaving, there are multiple tasks a member who is leaving
21 has to do. So one of the tasks would involve going to medical
22 record and collecting or asking for their records. So case

DR. VINOD JOSHI, Direct Examination

1 manager will usually help them to prepare and understand what
2 they need to do and make sure or, you know, make them aware of
3 various aspects of release (inaudible - audio quality).

4 Q. Sorry. I don't mean to go over the same ground,
5 Doctor, just you broke up and I think I was breaking up a bit as
6 well. So I just want to understand.

7 A member has to go and do that, to ask the medical records
8 division for their medical file? It's not something that's
9 given to them automatically, is that correct?

10 A. No, because it probably involves consent, so they need
11 to ... member needs to go and ask for their records. So they
12 will be made aware about their sources or who to go to contact.

13 Q. Okay. Do you typically consult with or liaise with a
14 doctor that will be treating a member after they leave the CAF,
15 say, at the OSI clinic?

16 Did we break up? Are you able to hear me? Lose him?
17 Freezing up.

18 **THE COURT:** Yeah, I think we've broken up. All right,
19 thank you. We'll just ... we'll recess till we re-establish
20 this connection here.

21 A. Hello?

22 **THE COURT:** Thank you.

DR. VINOD JOSHI, Direct Examination

1 **A.** Hello?

2 **MR. MURRAY:** Hello, Doctor. We're just going to take a
3 break and get our connection again.

4 **THE COURT:** Thank you.

5 **A.** Oh, no, I can hear you now.

6 **THE COURT:** Dr. Joshi, we're just going to take a short
7 break and check out some of our settings here but, please, just
8 remain on the connection if you could, thank you.

9 **A.** Okay, sure.

10 **COURT RECESSED (10:12 hrs.)**

11 **COURT RESUMED (10:51 hrs.)**

12 **THE COURT:** Thank you, Dr. Joshi, for waiting patiently.
13 Appreciate it.

14 **A.** Thank you.

15 **THE COURT:** Mr. Murray?

16 **MR. MURRAY:** Thank you, Your Honour. Thank you, Dr.
17 Joshi. Just before we broke I was asking you, and you were
18 telling us about, the process when soldiers are leaving the
19 Canadian Armed Forces and how they transition, I guess, to their
20 post-CAF care.

21 Do you see any issues there? Or in particular with respect
22 to soldiers finding care when they leave the military, accessing

DR. VINOD JOSHI, Direct Examination

1 their records, and the general communication between, say,
2 yourself and physicians after a member leaves? Are there issues
3 there, things that could be improved?

4 **A.** So generally, I think the process works well. I mean
5 we ... every month there are a number of members who get
6 released. So it has developed into a relatively well-
7 established process. So I think by and large it works, but
8 again, there might be occasional exception where things might
9 miss. And that sometime happens when member is not sure about
10 their Veterans Affairs entitlement. Sometime a member might have
11 thought ahead a release date but for some reason they might
12 decide to leave early. So then we might have to call them in
13 OSI clinic and say, This member is actually leaving early and
14 can you take them or can you see the person early?

15 So generally, my experience, it works well, but there could
16 be exception where it may not have worked well.

17 **Q.** And the doctors at the OSI clinic in Fredericton, I
18 take it you would have had occasion to speak to the treating
19 professionals at that clinic?

20 **A.** So normally when I refer releasing member to OSI
21 clinic it's usually done three to four months in advance. So at
22 the time of referral I do not know which doctor or which

DR. VINOD JOSHI, Direct Examination

1 clinicians are going to be involved in OSI clinic, who the
2 member's care is assigned to. So I will continue to see the
3 member until their day of release and then the member will be
4 transferred to their first appointment with their other treating
5 doctors.

6 So usually it's either paper file or the records being
7 sent. There are some situations where you are really concerned
8 about member or you want to make sure that you have to make that
9 contact. So there are occasions where I would call the doctor
10 and say, This is the member coming, and may discuss their issue.
11 Sometime our nurses or other staff might call the OSI intake
12 worker, but generally, at the time of referral I would not know
13 who the member is getting assigned to.

14 Q. Okay. So if we could turn to Cpl. Desmond and your
15 treatment of him. There are a number of documents that we've
16 been provided that record the nature of your care for Lionel
17 Desmond. It seems like you saw him first in 2011, and I'm going
18 to refer you to an exhibit which we've marked as Exhibit 183.
19 It's a psychiatric assessment from September 28th, 2011. You're
20 familiar with that document, are you?

21 A. Yes.

22 **EXHIBIT P-000183 - PSYCHIATRIC ASSESSMENT OF SEPTEMBER 28, 2011**

DR. VINOD JOSHI, Direct Examination

1 **Q.** Okay. Was this in or around the time that you first
2 saw Lionel Desmond?

3 **A.** The document is not up yet here. Yes, this is the ...
4 this is the first time I would have seen Lionel Desmond on 28th
5 of September 2011.

6 **Q.** Okay, and the document, the psychiatric assessment you
7 would have prepared shortly after seeing him. Is that correct?

8 **A.** So typically, I would see the member and then after
9 ... as soon as I'm done I will dictate my notes and then my
10 admin staff will type it and it will be submitted to medical
11 record like electronic database for entering into the system.

12 **Q.** Okay, so this would have been entered into the
13 electronic database that other medical records would be entered
14 into?

15 **A.** Correct, yes.

16 **Q.** And that database is what? What is called?

17 **A.** It's CFHIS. So it's Canadian Forces electronic
18 medical record. I don't remember exact acronym, but it's been
19 electronic database that has physical health or mental health,
20 psychosocial case management. So essentially all aspects of
21 care of the member is in the same database.

22 **Q.** Okay. So any documents that you would have produced

DR. VINOD JOSHI, Direct Examination

1 related to your care or treatment of Lionel Desmond would have
2 been entered into that system, would they?

3 **A.** Yes.

4 **Q.** Okay. The document indicates that there was a
5 referring physician. That's a Cpt. MacDonald. That would have
6 been a family doctor for Lionel Desmond, would it?

7 **A.** Yes. So Cpt. MacDonald at that time was family doctor
8 who would have seen Lionel Desmond and then he would have
9 referred Cpl. Desmond to see me. So he would be the referring
10 physician.

11 **Q.** Your letter says: "Thank you for referring Cpl.
12 Lionel Desmond for psychiatric assessment." How much
13 information would you have had when Lionel Desmond was initially
14 referred to you? Would you have had any sense of what the
15 reason was for the referral?

16 **A.** Yeah, so in the referring note the attending physician
17 would write, you know, the concern or reason for referral and I
18 would have ability to access Cpl. Desmond's chart. So I would
19 have information of the referral ... reason for referral.

20 **Q.** Okay. So the documents that you would have had access
21 to, those would have been on CFHIS, would they?

22 **A.** Yes.

DR. VINOD JOSHI, Direct Examination

1 **Q.** Okay. And would you typically have occasion to look
2 at those in any detail before you meet the patient?

3 **A.** So typically, I would go through the document. You
4 know, sometime I would see the documents afterward. Sometime you
5 want to have as much information as possible when you start
6 seeing the patient but some other time you might take the
7 important information and then check it out later for any other
8 detailed information you might need.

9 **Q.** Okay. And in terms of the member's history, beyond the
10 medical history, just the nature of their deployment or their
11 work with the CAF, how much of that would you know about when the
12 member first walks through the door?

13 **A.** So if the information is available in the medical chart
14 we can read that. If their personnel file needs to be seen we
15 can ask for that. So if required we can access it.

16 **(11:00)**

17 **Q.** And would you typically do that, or would it depend on
18 the nature of the member's presentation?

19 **A.** It will depend on the nature of presentation. So if
20 there are concern or any inconsistency in the information that is
21 provided I want to check it out, something for validity then you
22 could ask that. But many times it may not be needed because you

DR. VINOD JOSHI, Direct Examination

1 may not have reason to access it.

2 **Q.** Okay. So you have a bit of a history of his work with
3 the CAF in the letter. Would that have been obtained, do you
4 recall, from Lionel Desmond or from his file or both or can you
5 say now?

6 **A.** Both. I mean I would ask these question to the member
7 and check it out with the CFHIS to just be sure.

8 **Q.** Would Lionel Desmond have had a diagnosis or a
9 tentative diagnosis when he came to you or would that be
10 something you would do?

11 **A.** So diagnosis is something I would do. So that would be
12 based on my assessment or definitely diagnosis might be
13 established.

14 **Q.** To your knowledge, had he seen another psychiatrist or
15 another mental health professional in CAF prior to seeing you?

16 **A.** I'm not sure of that. I mean I don't recall that or
17 whether he'd seen somebody or not.

18 **Q.** Okay. Can you give us a sense, the first time that you
19 meet him, how long you would have spent with him and what the
20 nature of the interaction would be? Is it a discussion, a Q and
21 A? How does that work?

22 **A.** So typically, first session is booked about hour 15 to

DR. VINOD JOSHI, Direct Examination

1 hour and a half. So you would spend anywhere from 50 minutes to
2 an hour 15 minutes in kind of establishing the history, and then
3 about 15 minutes for dictation of my notes.

4 So generally, in psychiatric history we will start with
5 open-ended questions. So we give the member a chance to tell
6 their story and after, say, about 10, 15 minutes we would start
7 to have more kind of focussed interaction, focussed questioning
8 that would help elicit various symptomology, family history,
9 personal nature, those nature.

10 So it will kind of progress in that manner for, you know,
11 first 45, 50 minutes and then last ten minutes might be giving
12 feedback to the member, diagnosis, treatment plan. So that might
13 be a typical interaction during the first assessment.

14 **Q.** I appreciate this was ten years ago but do you recall
15 if Lionel Desmond was forthcoming with you about his situation
16 and his symptoms?

17 **A.** He was forthcoming. I mean he told me a lot about his
18 trauma in Afghanistan. He told me a lot about his situation and
19 he came across as a honest person. He was anxious but he was ...
20 he participated fully in the session.

21 **Q.** You said in your letter that he had told you that he
22 was not feeling well for the last three to four years. Or three

DR. VINOD JOSHI, Direct Examination

1 and a half to four years.

2 **A.** Mm-hmm.

3 **Q.** Did you explore or do you recall why he may not have
4 been referred to a mental health professional before that or why
5 he hadn't accessed that help?

6 **A.** I mean this is not unusual presentation that many time
7 members will try to manage their symptoms on their own or they
8 might not have insight to seek help. Or sometime members might
9 want to protect their career. They are nervous about seeking
10 mental help.

11 So a lot of times it is fairly common that member person
12 might be going through slow changes in their personality and
13 their behaviour. So he certainly had symptoms for a while and he
14 decided to seek help at the persuasion of his wife.

15 **Q.** That was your recollection, that it was his wife that
16 prompted him to seek help?

17 **A.** Yes.

18 **Q.** There are a number of symptoms that are disclosed in
19 the letter. What do you recall ... I guess I'll ask you, what
20 was your impression of him when you first began to speak with
21 him?

22 **A.** So, again, I'm speaking from my memory approximately

DR. VINOD JOSHI, Direct Examination

1 ten years back, but he was extremely distressed and anxious and
2 he had difficulty with sleep. He was experiencing a lot of
3 nightmares. He was not able to go out of house. He was
4 concerned about dealing with the anger, kind of feeling emotional
5 numbness. So he had been thinking and reliving some of the
6 experiences from Afghanistan.

7 So he was ... my opinion was he was quite symptomatic at the
8 time of initial presentation and he had very limited insight or
9 understanding as to what was happening.

10 **Q.** And the symptoms that he was exhibiting, what were they
11 ... in your opinion, what were they symptoms of?

12 **A.** So these symptoms collectively will be part of PTSD or
13 post-traumatic stress disorder.

14 **Q.** And I'll ask you about your diagnosis of him in a
15 moment. But was that the primary thing that you saw, the primary
16 condition that you felt he was suffering from?

17 **A.** Yes. So he had various symptoms of ... he had history
18 of exposure to multiple trauma during his deployment. He had
19 intrusive thoughts related to those trauma. He had nightmares.
20 He had flashbacks about the incident, intense anxiety, difficulty
21 to interact with friends and family, isolating himself.

22 So those are kind of cluster of symptoms that would be for a

DR. VINOD JOSHI, Direct Examination

1 PTSD person ... a person suffering from PTSD.

2 Q. Are those ... would you say those are the most common
3 symptoms of post-traumatic stress disorder?

4 A. Yes, I would say so.

5 Q. Were there any that he was not exhibiting that you
6 might have expected him to?

7 A. No, I don't think I recall any major ... I mean he was
8 meeting the criteria. I don't think I recall any unusual
9 presentation of his symptoms.

10 Q. Okay. He ... you talked to him about his marital
11 situation a little bit. I think you said he feels their
12 relationship - that is he and his wife - may be heading toward
13 separation. Do you recall if that's something that he brought up
14 or something that you drew out of him?

15 A. I think it's a combination of both. So when I was ...
16 I would have ask him about his current living arrangement and he
17 would have told me that he was living alone and then further
18 explanation of that, he informed that his wife was trying to ...
19 she was studying to become a nurse and was living in Nova Scotia
20 and he was living alone and he was concerned about their
21 relationship not in the best terms and was worried about ... you
22 know, worried about how ... where it was heading and especially

DR. VINOD JOSHI, Direct Examination

1 worried about financial situation as well. I think he had to co-
2 sign a loan for a student loan and he was thinking if he made a
3 mistake or he ... if the relationship goes toward separation,
4 then he would have taken the responsibility for the loan, the
5 student loan.

6 So some of the information I would have asked him and some
7 of it he would have disclosed to me.

8 **Q.** It may be difficult to say to what extent their marital
9 situation was affected by his post-traumatic stress disorder and
10 how much by other factors. Were you able to make an assessment
11 of that?

12 **A.** No, I think it's probably combination of multiple
13 factor, but certainly, his diagnosis, the long-term ... like the
14 separation due to her studies could have been factors.

15 **Q.** You had said in your letter that ... and I assume this
16 is something that you asked, but you can tell us, that Lionel
17 Desmond denied violent thoughts but admitted to experiencing
18 suicidal ideation, however, he had no suicidal plans. Is that an
19 area of exploration that you would typically review with a
20 member?

21 **A.** So ... yes, so assessing suicidal ideation and
22 assessing potential for violence is one of the part of

DR. VINOD JOSHI, Direct Examination

1 psychiatric assessment. So there are a number of ways we would
2 ask those questions and try to clarify if that person has ...
3 intends suicidal ideas, a plan, if there's any imminence to the
4 plan, and same with the violent thoughts towards any family
5 members, friends, or any other people.

6 **(11:10)**

7 So exploring suicidal ideation and violence thought is a
8 fairly common kind of ... you know, standard practice.

9 **Q.** What types of questions would you ask a patient to draw
10 that information out?

11 **A.** So typically, the questions would ... for example, for
12 suicidal ideation, the first questions would be, you know, How is
13 your mood, how are you feeling, are you getting any thoughts that
14 you wish you're not here? Or the more explicit part of the
15 questions including, Are you having any suicidal ideas, you know,
16 plans, what would you do to accomplish those plan? What about
17 ... whether you've written any suicide notes or trying to dispose
18 of your personal belonging.

19 You can also assess for any protective factors, which would
20 include, What would hold you back from acting on your impulse?
21 And this typically might ... member might say for their family or
22 children or religious reason that they might hold back from

DR. VINOD JOSHI, Direct Examination

1 acting on their impulse. You can also explore how feasible is
2 the plan, whether there's any imminence, like person is likely to
3 do in an imminent manner, act on suicidal plans.

4 So these are some of the questions that you would ask about
5 suicidal ideation. Similarly, violent thoughts and plan. Well,
6 you could start something like, Are you getting any angry
7 thoughts, are you getting irritable, moody? You would then
8 explore if you're getting thoughts about hurting somebody and
9 then you'll explore more in detail if there's any specific plan,
10 if this person is, you know, at imminent risk and it's realistic
11 that someone could act on those plan and what's holding back or
12 what's protecting factor.

13 So these are some of the questions that you would ask in
14 suicide and violence risk assessment. Even more like a
15 conversational manner so you can integrate it into your
16 assessment. So I mean psychiatrists, we're going to try to act
17 as a scripted kind of format, like five questions, one after the
18 other. But it's more like a conversational approach where you
19 would move from one topic to another topic and in that you will
20 explore certain areas that you want to highlight or you want to
21 make sure.

22 Q. Okay, so it's sort of ... it's organic, I guess, in

DR. VINOD JOSHI, Direct Examination

1 that it flows through the conversation with the patient?

2 **A.** Yes, true.

3 **Q.** Do you have ... do you typically use a checklist or a
4 tool to assess for suicidal ideation or plan?

5 **A.** So typically, what happens is that when the member
6 first comes in they fill in certain questionnaire. Those
7 questionnaires are for PTSD, for anxiety, depression, and so
8 before you start seeing the person you'll go through that. So
9 that checklist is ... so you know what areas to highlight. But
10 then once I'm interviewing someone I will not go through those
11 checklists with them because I'll have that information.

12 Because sometime person feels it's very scripted. So rather
13 than ask the person's agenda of what they want to discuss in the
14 session, it becomes more like doctor's agenda of wanting to ask
15 all the questions. So it more flows in a conversational manner.

16 **Q.** When you saw Lionel Desmond first - a couple of other
17 questions about his presentation - you said that he did not
18 endorse any symptoms suggestive of mania, hypomania, psychosis,
19 OCD, or anxiety disorder. When I asked you in particular about
20 psychosis later on treating professionals have seen some paranoia
21 exhibited by Lionel Desmond. Did you see any of that early on
22 when you first saw him in 2011?

DR. VINOD JOSHI, Direct Examination

1 **A.** No. So throughout my involvement with him I never saw
2 symptoms suggestive of psychosis. So no, I didn't see any
3 symptoms suggestive of psychosis.

4 **Q.** Even setting aside a full-on diagnosis of psychosis,
5 did you see any paranoia, in particular when he was discussing
6 with his relationship with his wife?

7 **A.** No. I think his concerns seemed so realistic and did
8 not seem like they were unfounded or unrealistic. He wanted to
9 have a relationship with his wife on an ongoing basis but he was
10 worried that she might not be fully committed to the
11 relationship. So he was worrying that she might leave him but it
12 didn't seem like it was delusional or psychotic in nature.

13 **Q.** All right. And at that time you saw him you saw no
14 evidence and he reported no evidence of head injury or
15 neurological symptoms at that time?

16 **A.** No. So he denied any history of head injury. He
17 denied any exposure to any blast injuries. There was no history
18 of any loss of consciousness, seizure, any double vision, any
19 neurological symptoms. So he denied that and so there was no
20 kind of reason that he disclosed to concern about head injury.

21 **Q.** What was his status with the Canadian Armed Forces when
22 you first saw him in terms of his duties?

DR. VINOD JOSHI, Direct Examination

1 **A.** So at that time he was working band in RCR.

2 **Q.** Yes.

3 **A.** So when I saw him he was already working there for his
4 unit.

5 **Q.** That was the pipe and drum band, was it?

6 **A.** Correct. Yes, yes.

7 **Q.** Did you have any thoughts at that time whether that was
8 appropriate for him or did he say anything about that?

9 **A.** I mean he was already in working in the band. So it
10 was kind of already established place of work. He was not happy
11 but he wasn't kind of resisting or protesting a lot about it
12 either. So he was kind of accepting with some unhappiness I
13 would say.

14 **Q.** Were you aware whether there were restrictions on his
15 ability to perform certain functions in the CAF when you first
16 met him?

17 **A.** So I was not aware, but typically, he would be on what
18 is called temporary category and restrictions but I don't recall
19 whether he was at the time or not.

20 **Q.** All right. You were able to make a diagnosis or a
21 couple of diagnoses, I guess, of him.

22 **A.** Yes.

DR. VINOD JOSHI, Direct Examination

1 **Q.** So you diagnosed him first with post-traumatic stress
2 disorder with major depressive episode operational.

3 **A.** Yes.

4 **Q.** So what was it ... and, again, you've talked about the
5 symptoms but what was it that was required, I guess, for you to
6 feel that it was appropriate to diagnose him with post-traumatic
7 stress disorder? What did you see that would support that
8 diagnosis?

9 **A.** So he had experienced multiple trauma in his deployment
10 and then he was experiencing intrusive thoughts, memories, dreams
11 about those incident. He had a lot of avoidance symptoms. He
12 was feeling emotional numbness. He had some flashbacks of those
13 experiences. So these are all criteria to diagnose post-
14 traumatic stress disorder.

15 He had generally low mood, sadness, guilt feeling, not able
16 to enjoy life, and some of the other depressive symptoms. So he
17 kind of met diagnostic criteria for major depressive episode as
18 well.

19 **Q.** So the ... I think you had said to us earlier, if I
20 recall, that typically for the PTSD diagnosis you need a
21 traumatic or tragic event followed by a cluster of symptoms.

22 **A.** Mm-hmm.

DR. VINOD JOSHI, Direct Examination

1 **Q.** Do I have that correct?

2 **A.** Yes.

3 **Q.** Okay. And that was his presentation then, was it?

4 **A.** Yes, yes.

5 **Q.** The major depressive episode operational, what does it
6 mean when you say it was operational?

7 **A.** So it's basically applicable for both diagnosis, PTSD
8 and major depressive episode. So it's kind of connected to the
9 deployment-related experiences. So operational is a contact
10 would be used for indicating that it was part of the deployment
11 related-issues. So, for example, one could see PTSD patient and
12 that member might have, as a civilian, like childhood sexual
13 abuse or ... which do not involve overseas deployment. So in
14 that case it will be called non-operational PTSD or major
15 depression.

16 **Q.** Okay. Now I assume at that time you had seen a number
17 of members with post-traumatic stress disorder.

18 **A.** Mm-hmm.

19 **Q.** Can you give us a sense how his condition compared to
20 others you had seen in terms of severity?

21 **(11:20)**

22 **A.** So at that time he was kind of moderate to severe in

DR. VINOD JOSHI, Direct Examination

1 range. So he was extremely symptomatic at the time and the most
2 difficult part was that he had very limited insight about what
3 PTSD was. So he was, I would say, moderate to severe category.

4 **Q.** The ...

5 **A.** And probably comparable to many other members I would
6 have seen with similar diagnosis.

7 **Q.** You would have seen other soldiers with a similar
8 severity of PTSD at that time?

9 **A.** Yes.

10 **Q.** You also note in your diagnosis marital difficulties
11 and separation from family. This was also part of what was
12 troubling him at the time, was it?

13 **A.** So this was part of the psychosocial stressors that he
14 was experiencing at that time. His wife was in Nova Scotia and
15 he was here and so that was part of kind of social isolation so
16 to speak along in the background of marital difficulties.

17 **Q.** That social isolation, I take it that was a problem for
18 a number of members, was it, who were dealing with a condition
19 like PTSD?

20 **A.** Yes, I think part of PTSD symptoms are avoidance. So
21 members with PTSD tend to avoid interacting with other people,
22 friends, family, avoid hobbies, interest. A lot of members will

DR. VINOD JOSHI, Direct Examination

1 get intense anxiety in social situation like family get-together,
2 workplace get-togethers, or going to malls, et cetera. So a
3 person start to get more withdrawn and more isolated from various
4 activities that they could enjoy or participate.

5 Q. After you met with him and made your assessment of his
6 condition then I take it you developed a treatment plan? You
7 have a section of the letter that refers to management.

8 A. Yes.

9 Q. That's something that you would discuss with the member
10 and determine how best to proceed?

11 A. Yes. So probably the management would involve giving
12 some feedback of the session based on what we discussed and then
13 ... so at that time I gave him some information about PTSD, gave
14 him some information booklets about explaining the diagnosis and
15 he was started on ... he was already on some medication. So I
16 increased the dose of the medication to more therapeutic dose,
17 discussed, probably, with him about the role of medication and
18 potential benefits and side effects, et cetera, and he was
19 referred for trauma-focussed therapy as well as a
20 psychoeducational group that we were running at that time. And
21 then I had made arrangement for followup in a week's time.

22 Q. Right. So you said he had limited understanding of his

DR. VINOD JOSHI, Direct Examination

1 condition. Did he know at the time what post-traumatic stress
2 disorder even was?

3 **A.** No, he didn't, and that's why he was given some
4 information during the session, as well as he was given some
5 information to read and he was referred to see a
6 psychoeducational group that we had for PTSD members.

7 **Q.** Okay. Now you said he was on some medication and your
8 letter says that you increased Effexor from 112.5 milligrams a
9 week to 150 milligrams. What is ...

10 **A.** Correct, yes.

11 **Q.** What is Effexor? What is the purpose of that
12 medication?

13 **A.** So Effexor is an anti-depressant medication that works
14 on a couple of neurotransmitters in the brain. It helps with
15 depression/anxiety symptoms. So it's therapeutic doses. 75 is
16 kind of the lower end of the dose and it can go up to 300
17 milligram. So I had increased it to more middle-of-the-range
18 dose to get him more effectiveness with the treatment or improve
19 efficacy.

20 **Q.** And you started him on other medication. Risperdal,
21 one milligram a day. What is that medication and what is it for?

22 **A.** So risperdal is a typical anti-psychotic medication.

DR. VINOD JOSHI, Direct Examination

1 It is used at a lower dose to ... not because he was psychotic,
2 but it's used at a lower dose to help with anger, irritability,
3 mood swings. And ... because he was constantly thinking about
4 events from Afghanistan.

5 So sometime or many time he ended up using combination of
6 medication. Prazosin is a medication that helps with nightmares.
7 It's actually a blood pressure ... it's used for blood pressure
8 management but at a lower dose it helps with nightmares. So it
9 was given along with the other medication to help with the
10 zopiclone to help him with sleep, because he was not able to
11 sleep well and was having regular nightmares.

12 **Q.** Those three medications, risperdal, prazosin, and
13 zopiclone, those are typical medications prescribed for people
14 with PTSD?

15 **A.** Yes.

16 **Q.** Right. Now you said that he was referred for trauma-
17 focussed therapy. What is trauma-focussed therapy? Can you
18 explain that to us?

19 **A.** So trauma-focussed therapy is a kind of ... it's a
20 broad category that, essentially, encompass a number of treatment
21 approaches to help patients with PTSD. So it kind of came from
22 cognitive behaviour therapy. So idea is to expose the patient

DR. VINOD JOSHI, Direct Examination

1 with PTSD to various intensity of their trauma that they might
2 have experienced in a controlled manner by the therapist and
3 exposure over a period of time helps to reduce the emotional
4 intensity of the trauma.

5 So sometime instead of being specific about what kind of
6 psychotherapy a person should have, it's more like broad-based
7 recommendation and the details of the ... what therapy approach
8 need to be used are left to the therapist and the member because
9 some members might respond to one particular type of trauma
10 therapy while others might respond to the other one. So it's a
11 kind of broad category to say that this member needs PTSD
12 psychotherapy.

13 And would it be a psychologist that would engage in the
14 trauma-focussed therapy with the patient?

15 **A.** So it will be either psychologist or social worker or a
16 nurse who might have appropriate training to do trauma therapy.
17 So they had to have ... so trauma-focussed therapy is generally
18 done by some of these specialty of their training. But in Cpl.
19 Desmond's case, it was Dr. Wendy Rogers, who is a psychologist,
20 very senior psychologist in our clinic. She was assigned to do a
21 trauma-focussed therapy.

22 **Q.** Right. And also he was referred to a psychoeducational

DR. VINOD JOSHI, Direct Examination

1 group.

2 **A.** Yes.

3 **Q.** What would that look like and what would the purpose of
4 that be?

5 **A.** So psychoeducational group was over four to five
6 sessions. It would involve having anywhere from five to seven
7 members. I don't know exactly how many took part in his group,
8 but essentially, it was spread over four weeks, a couple of
9 hours, where details of PTSD, its various symptoms, its triggers,
10 managing some of the triggers, various treatment as available.

11 So some of these educational complement of treatment will be
12 provided and it was run by a couple of colleagues in our clinic.
13 And I think Cpl. Desmond must have participated in that
14 psychoeducational group. So it kind of prepares the member to
15 start more intensive psychotherapy with the psychologist, so
16 based after some sort of background knowledge and information as
17 they're prepared to enter into more intensive therapy.

18 **Q.** Each of these parts of the treatment plan, the
19 pharmaceutical, psychological trauma-focussed therapy and so
20 forth, those were, I take it, all standard treatments for
21 soldiers with PTSD at the time?

22 **A.** Yes.

DR. VINOD JOSHI, Direct Examination

1 **Q.** Did you have a sense, having met Lionel Desmond and
2 creating the management or treatment plan, what his prognosis was
3 at the time?

4 **A.** No. I think the prognosis was not happened immediately
5 because many times many members would improve with treatment.
6 Some members might improve significantly but they're not able to
7 work in the military or it would not be advisable to work in
8 military because you don't want to re-traumatize with a different
9 kind of deployment.

10 **(11:30)**

11 So at initial time, the prognosis would have been guarded or
12 one wouldn't speculate on prognosis at that time. Certain
13 factors can help over a long period of time which would include
14 things like family history of mental illness, early life
15 childhood experiences, social support, substance use, insight and
16 compliance of treatment so ... But those factors will help over
17 time to kind of make a judgment about long-term prognosis.

18 **Q.** It was difficult then, I take it, to make any
19 predictions about how long the course of treatment would be?

20 **A.** That's correct, yes.

21 **Q.** Okay.

22 **A.** Many times, member when they start therapy someone who

DR. VINOD JOSHI, Direct Examination

1 is going through PTSD, sometime during therapy session they start
2 remembering other traumatic incident that might have happened
3 that they might have forgotten, or other issue starts to come in
4 that were not manifesting at the initial presentation. So
5 treatment duration is different or varied at the time of initial
6 assessment.

7 Q. The plan going forward, you were intending to see
8 Lionel Desmond again on a regular basis, were you?

9 A. Yes. So initially I would plan to ... or I would have
10 seen him regularly every two to three weeks. I think the first
11 appointment I asked him to come back in a week's time.

12 So initially my role would be to continue assessing him,
13 continue to provide education about PTSD, make sure he's taking
14 medication, address any concerns he might have about side effects
15 or any question that he might raise and prepare him so that he
16 can start entering into therapy.

17 Once he got established into therapy then the therapist
18 would see the member frequently, usually once a week or once
19 every two weeks, and they will be ... So then I might take a
20 little backseat in terms of how frequently I would see. So I
21 might see once a month and the therapist might see the member,
22 you know, two or three times a month for therapy. And the

DR. VINOD JOSHI, Direct Examination

1 intensity and frequency of contact, I mean, is if needed or it
2 can be reduced if someone is stable and doing well.

3 So it can vary from, you know, every couple of weeks to
4 every couple of months depending on stability and frequent
5 compliance.

6 Q. Initially your intention was to see him, I think, on a
7 more regular basis, is that correct?

8 A. Yes, that's correct.

9 Q. Weekly?

10 A. Weekly to two weekly, depending on, you know,
11 appointment scheduling.

12 Q. And he was scheduled then to see the psychologist, Dr.
13 Rogers, as well, is that correct?

14 A. Yes. Yes.

15 Q. How would the treating therapist be chosen? Was there
16 ... was that dependent on the condition or was it a function of
17 who maybe had the most availability?

18 A. I mean, so, in the clinic, we would have ... we would
19 be aware about who are the clinicians who are able to treat PTSD
20 patients so ... and then who might have openings available
21 immediately, or immediately in the sense that they can see the
22 member quickly.

DR. VINOD JOSHI, Direct Examination

1 So therapists typically will be seeing patients, some of
2 them might be getting discharged so they might create openings
3 for new patients to be seen. If we feel that there are, you
4 know, the clinic therapists are not able to see members in quick
5 time then we can also refer members to a community provider of
6 psychologists and other therapists. So it will be mainly judged
7 by availability and ability or expertise to treat such
8 conditions.

9 **Q.** Okay. And Dr. Rogers was an appropriate person to
10 treat Lionel Desmond?

11 **A.** Yes. Dr. Rogers was one of the most experienced
12 psychologists at the time and she had a wealth of experience.

EXHIBIT P-000188 - PSYCHIATRY PROGRESS REPORT - OCTOBER 5, 2011

14 **Q.** Okay. So going forward you ... I think in the
15 documents there are a number of psychiatry progress reports so
16 perhaps we can just bring one of those up and have a look at it.
17 Exhibit 188, for example. Is this ... I don't know if you have
18 it yet.

19 **A.** Yes, I do.

20 **Q.** Okay. Is this the type of document that you would
21 normally complete when you would see one of your patients on an
22 ongoing basis?

DR. VINOD JOSHI, Direct Examination

1 **A.** So at the time this was the document that we were
2 using, so that would involve the progress report. And that time
3 ... So some of the headings would be completed and any kind of
4 observation that might be there would be entered in those boxes
5 where you would see. So this would be a typical follow-up
6 progress note that we were using at the time.

7 **Q.** Okay. Now this document says that on ... I should say
8 it's dated October 5th, 2011, so this would be roughly a week
9 after you had first seen him.

10 **A.** Yes.

11 **Q.** And you met with him on this occasion for about 30
12 minutes.

13 **A.** Yes.

14 **Q.** Is that about standard for the ongoing visits?

15 **A.** So follow-up will be typically 30 minutes. So about 20
16 to 25 minutes will be conversation and then a few minutes for
17 writing up notes.

18 **Q.** Okay. The symptoms that he endorsed on ... the week
19 later, were they similar to what he had described the first time
20 you had met him?

21 **A.** Yes. So basically mentioned about sleep disturbance,
22 so he was going to be ... or one of the things ... one of the

DR. VINOD JOSHI, Direct Examination

1 topics that he wanted to discuss with me was not sleeping well
2 and he was taking medications regularly and he was reporting that
3 he was less irritable compared to first presentation.

4 So one would go through some of the initial presentation
5 symptoms, assess the compliance, discuss any issues a member
6 would want to discuss and prepare him to start the therapy.

7 **Q.** You had changed ... you had prescribed some new
8 medication on the 28th of September and increased the dosage of
9 one medication he was already on. Is there a period of time you
10 would observe the effects of that medication before you might
11 change the dosage?

12 **A.** So typically for antidepressant medication I would wait
13 for four to six weeks. For sleep medication, one of the sleep
14 medications is zopiclone, you would look for benefits over the
15 next few days. But with the medication that helped for
16 nightmares, the dose has to be increased slowly otherwise a
17 person can get side effects. So you have to titrate those up to
18 such a level that it helps with the nightmares but doesn't cause
19 side effects.

20 **Q.** Right. So I assume that it would be important to
21 continue to see it ... especially early on, to see a patient to
22 determine how the medication is working and whether it needs to

DR. VINOD JOSHI, Direct Examination

1 be changed?

2 **A.** Yeah, especially if one has to engage a patient into
3 treatment. Initially, frequent contacts are important so that
4 would kind of help to connect with the person and help establish
5 rapport and, you know, help the member to kind of follow the
6 treatment plan, address any concerns or questions they might have
7 about side effects or what's happening. So, initially, I would
8 see more frequently.

9 **Q.** The document that you created on October 5th, 2011, you
10 said: "No SI. No HI." Again, I assume that's suicidal ideation
11 and homicidal ideation?

12 **A.** Yes.

13 **Q.** Would those topics ... again, on the shorter visit, how
14 would those topics be discussed with him? Would he be asked if
15 he's feeling those thoughts or would it kind of ...

16 **A.** So it will be, again, in a conversational manner. So
17 as you are going through the assessment, you would ask something
18 like, Are you having any bad thoughts? How are you feeling about
19 suicidal thoughts that you were having before? If he endorses it
20 then you would explore it further to ask if there's any plan, if
21 there's any change compared to previous presentation. So you
22 would spend, and depending on answers he will elicit, you would

DR. VINOD JOSHI, Direct Examination

1 spend some time or a longer time depending on the concern. I
2 mean if you are satisfied that the member is honestly telling
3 what they're feeling then you could move on to another topic of,
4 say, violence.

5 **(11:40)**

6 **Q.** Are those topics that would be covered in every session
7 or you'd make some judgment about them in every session?

8 **A.** So generally, yes, it will be covered in every session,
9 but how you ask question might vary depending on presentation.
10 So, for example, if someone comes and say: I am doing fine, I'm
11 looking forward to going to holiday, and he seems to be
12 optimistic, then you might just ask question and may not explore
13 it further because you're getting the impression that person is
14 futuristic oriented; he is looking forward to something in life.
15 So you moderate your depth of your questioning depending on the
16 responses you are getting.

17 **Q.** Okay. Now there are a number of psychiatry progress
18 reports in the documents we received and we'll look at some of
19 these, we won't look at every one of them. But it does appear
20 that he had ups and downs, I guess, is that a fair statement?
21 What's your recollection of his ...

22 **A.** Yes.

DR. VINOD JOSHI, Direct Examination

1 **Q.** ... course of ... well, through the course of treatment
2 how he presented?

3 **A.** So he ... So I think I saw him in end of September/
4 beginning of October, so I think first month I think he was
5 significantly symptomatic. In my notes towards end of October he
6 was reporting that he's sleeping better, he's feeling better,
7 more good days than bad days. He started to report that he was
8 finding therapy helpful.

9 And then I think towards spring of 2012, he again started to
10 notice significant worsening of symptoms. He was having a lot of
11 nightmares, anxiety, and he was not functioning well. So his
12 course kind of fluctuated between having periods where things
13 were going relatively better versus, you know, worsening of
14 symptoms.

15 **Q.** Was that normal for a patient with post-traumatic
16 stress disorder?

17 **A.** It (inaudible - audio) ...

18 **Q.** We froze.

19 **THE COURT:** I wonder if Dr. Joshi can hear you.

20 **MR. MURRAY:** Are you able to hear me, Dr. Joshi? He sort
21 of stopped in mid-sentence.

22 **THE COURT:** Just see if he can ...

DR. VINOD JOSHI, Direct Examination

1 **A.** Hello?

2 **THE COURT:** Hello. Dr. Joshi, can you hear us now, sir?

3 **A.** Yes, yes, I can hear. Yes.

4 **THE COURT:** All right. You froze for a moment and you
5 were just answering a question about whether increase ... I'm
6 going to paraphrase the question was one relating to increase in
7 symptoms, whether it was unusual and we didn't quite hear your
8 answer before you froze.

9 **A.** So, typically, the majority of members will have
10 fluctuating course and sometimes it seems like they're making
11 progress and there might be a period of improvement in symptom
12 and then sometimes things might get worse. So he did have a very
13 fluctuating course of response (inaudible - audio).

14 **THE COURT:** I didn't hear the last word.

15 **MR. MURRAY:** Just at the very end, Doctor, if you can pick
16 it up again.

17 **A.** And so he did have fluctuating course of treat- ...
18 fluctuating course of symptoms.

19 **THE COURT:** Thank you.

20 **MR. MURRAY:** All right. Thank you.

21 So ... and, you, I think made reference to one of your notes
22 ... and maybe we can bring it up, it's Exhibit 189. I think this

DR. VINOD JOSHI, Direct Examination

1 may be the document you were referring to when you said that at
2 the end of October he started to show some improvement?

3 **EXHIBIT P-000189 - PSYCHIATRY PROGRESS REPORT - OCTOBER 27, 2011**

4 **A.** Yes, 27th of October.

5 **Q.** Would that be a function of the medication at that
6 point or are you able to say what might have helped to improve
7 his condition?

8 **A.** I think it probably was a function of medication at
9 that point because certainly sleep was improving and he probably
10 started to feel positive about, you know, connecting with myself
11 and Dr. Rogers, so he was probably developing some hope about the
12 treatment and ... Because it was too early for psychotherapy to
13 be effective, but certainly the skill development or skill
14 building might also help him generally. Like, you know, more
15 insight and more understanding about his condition, could also
16 have helped him to understand what was going on and what was the
17 plan.

18 **Q.** Would he have started the psychoeducational group at
19 that point?

20 **A.** I don't know exact dates but, yes, he would have
21 started towards end of October some of the psychoeducational
22 sessions.

DR. VINOD JOSHI, Direct Examination

1 **Q.** Okay. So I want to bring up another document, this
2 isn't one of yours but I just want to ask you a couple of
3 questions about it. It's Exhibit 219.

4 **EXHIBIT P-000219 - MEDICAL REPORT - JANUARY 27, 2012**

5 So this is a document that at least at the bottom says it
6 was signed by Ms. Janet Weber, NP. I take it ... is that "nurse
7 practitioner"?

8 **A.** Yes, Nurse Practitioner Weber, yes.

9 **Q.** Okay. So what would the role of the nurse practitioner
10 have been in working with the patient?

11 **A.** So nurse practitioner, along with family doctor, they
12 form part of the primary care physicians. So a nurse
13 practitioner got involved in this primary care physician role.
14 I'm not able to read the documents. I don't know if you can
15 expand it a little bit.

16 **Q.** Maybe just ... yeah, zoom in at the top.

17 **A.** Yes, zoom. Yeah, okay.

18 **Q.** So this type of document, there are a number of these
19 in the materials. Would the nurse practitioners, to your
20 knowledge, do regular assessments of the patients and record
21 them, what they see in these documents?

22 **A.** Yeah, so member will have a number of appointments with

DR. VINOD JOSHI, Direct Examination

1 their primary care physician as well as from the mental health
2 team and so, yes.

3 Q. So this particular document is dated January 27th,
4 2012, and it says that Lionel Desmond ... and I'm just looking at
5 the top ... obviously he's in the band and it says on TCAT or
6 temporary category, I understand, for MH.

7 A. Yes.

8 Q. That's "mental health" is it?

9 A. Yes. Yes.

10 Q. Okay. So at that time the nurse said that he would be
11 followed by Dr. Rogers weekly and by you monthly. So at that
12 point, were you cutting back the visits, I guess, from weekly or
13 bi-weekly to monthly?

14 A. No, I think it might be kind of averaging out kind of
15 understanding from her. So I would basically, but once Dr.
16 Rogers start to see a member on a weekly basis then my
17 appointments would be reduced to maybe once a month or so. So,
18 in that sense that's accurate, but I don't know exactly the date,
19 whether it happened around that time or not.

20 Q. Okay. But I guess what I'm asking, going forward the
21 frequency of the visits with you might decrease a bit or be less
22 frequent?

DR. VINOD JOSHI, Direct Examination

1 **A.** Yes. So as he would be getting established on
2 medication and once the dose is established then he would
3 basically would kind of given background to work on his therapy
4 and then Dr. Rogers will be more involved in pursuing or going
5 ahead with the trauma therapy. So that would be ... then her
6 role will become more important in kind of conducting the therapy
7 sessions.

8 **Q.** Okay. The medications that were prescribed, they ...
9 obviously as any medication, they could have side effects could
10 they, Dr. Joshi?

11 **A.** Yes. Yes. Yes.

12 **Q.** Did you or do you recall if Lionel Desmond complained
13 of side effects from any of the medications he was taking?

14 **A.** Initially I don't think he complained. Initially, I
15 think he was tolerating the medication well. But at some point
16 towards the end maybe he might have noticed some side effect of
17 tiredness and fatigue or not able to focus I think. But at that
18 time, early in the treatment, he seems to be tolerating it well.

19 **(11:50)**

20 **EXHIBIT P-000220 - PSYCHOLOGY PROGRESS REPORT OF DR. W. ROGERS -**
21 **FEBRUARY 9, 2012**

22 **Q.** Okay. I wanted to ask you, I think this is a document,

DR. VINOD JOSHI, Direct Examination

1 it's Exhibit 220, and it's a document of actually, Dr. Rogers.
2 It'll just come up in a moment.

3 **A.** Sure.

4 **Q.** On that particular session, and I appreciate this is
5 not your document it's hers, but she says the focus in that
6 particular session with him was psycho-motor slowing. Just there
7 we are.

8 **A.** Yeah.

9 **Q.** Is that something that ...

10 **A.** Can we zoom it?

11 **Q.** Just unfocus there and just zoom in on it.

12 **A.** So, typically the medication Risperdal, once the dose
13 might be increased could cause that kind of problem of ... So, we
14 tried to find him the medication to make sure it gives him best
15 result and minimum side effects. But sometimes, especially when
16 the dose is increased, the person might get some side effects
17 that they might be able to remember later on or be able to convey later
18 on.

19 **Q.** The medication that soldiers would take for PTSD, would
20 that impact on their ability to return to duties that they might
21 once have performed?

22 **A.** Some medication could do that, especially if they're on

DR. VINOD JOSHI, Direct Examination

1 high dose of sedating medication it could happen.

2 **Q.** As, I guess, through 2012, do you recall now if you saw
3 improvement in Lionel Desmond's condition?

4 **A.** So as 2012 progressed he slowly started to respond to
5 treatment. There were some days where things might not be going
6 well and sometime it might be related to some negative news that
7 might happen in his life. At one time he got news about health
8 condition of his father that he got anxious and started to worry
9 if he was going to get similar condition. At one time his wife
10 send him a text that she wanted divorce and he started to worry
11 and get anxious about it.

12 So he was making slow progress in terms of improvement but
13 there were period where things might exacerbate depending on some
14 of the stressors that was going on in his life.

15 **Q.** The ... I assume those what we might call external
16 stressors, those are not uncommon for soldiers suffering from
17 PTSD? Other things can intervene and make the condition worse?

18 **A.** Yes, other life events can occur and make things worse.

19 **Q.** Okay. Did you get a sense as he went on that he was
20 hesitant to engage in treatment or was avoiding treatment at
21 times?

22 **A.** I mean at that point I think he was cooperating with

DR. VINOD JOSHI, Direct Examination

1 the treatment. He was coming for almost all appointments. He
2 was engaging with Dr. Rogers and I think towards the end of 2012
3 he completed therapy with Dr. Rogers. So he was able to
4 successfully complete trauma therapy with her.

5 So until 2012/2013 he was engaging with us the way ... I
6 must have seen him ... you know, during his involvement with us,
7 you know, the rate of his not ... like missing appointments were
8 very low. Most of the appointments he was attending.

9 **EXHIBIT P-000190 - PSYCHIATRY PROGRESS REPORT - MAY 3, 2012**

10 Q. Okay. So I'll just pull one document up. Let's look
11 at Exhibit 190. So this one is ... if we zoom in at the top,
12 it's a psychiatry progress report again, this one is from May
13 3rd, 2012, and on this occasion, I think Lionel Desmond was not
14 doing well, I think you said further down. Maybe if we just
15 scroll down to the middle of the page there.

16 One of the issues under the category of "Emotions Addressed"
17 is "avoidance".

18 A. Mm-hmm.

19 Q. And I just wondered if having Lionel Desmond address or
20 deal with his emotions was a problem or a struggle in his
21 treatment?

22 A. So avoidance is a very difficult symptom to treat

DR. VINOD JOSHI, Direct Examination

1 (inaudible) treatment. So he was showing improvement in some
2 symptoms but other symptoms such as social isolation, not able to
3 do hobbies or pursue interest, those were there, as well as
4 sometimes avoidance can manifest in therapy so ... But certainly
5 in terms of his outside therapy functioning, avoidance started to
6 manifest in his symptoms at that point.

7 And his stressors at that time were related to his father's
8 diagnosis of multiple sclerosis and he was worried that he might
9 get it himself. So it was a combination of external stressors as
10 well as avoidance symptoms that were kind of creeping on him.

11 **Q.** You had said, Dr. Joshi, that his attendance at
12 appointments was fairly good but he did miss some appointments I
13 see from the documents. For example, Exhibit 191 is a Psychiatry
14 Progress Report that you completed on June 6th and he didn't show
15 up for his appointment on that day.

16 **EXHIBIT P-000191 - PSYCHIATRY PROGRESS REPORT - JUNE 6, 2012**

17 Did you get a sense that when he would miss appointments
18 that it was as a result of emotional avoidance or wanting to
19 avoid treatment?

20 **A.** So during my treatment or during the time that I saw
21 him from 2011 to 2015, I had seen him ... I had appointments with
22 him for approximately 32 to 33 times and the appointment missed

DR. VINOD JOSHI, Direct Examination

1 were about five or six. And the June 6th appointment was
2 followed by his coming for appointment on June 19th.

3 So some of these appointments were missed because maybe it
4 was conflicting with something else that was going on. So there
5 were some appointments that he forgot and he kind of re-booked it
6 within a week or two of the missing session.

7 So, for example, you know, he didn't come for July 20th
8 appointment but he then came for July 18th appointment in 2013.
9 So some of it could be avoidance, that he didn't want to come to
10 us, or some of it might be just ... I mean, realistic reasons or
11 understandable reason that he missed or forgot.

12 **Q.** Can you speak more generally? When you're treating
13 patients with PTSD missing appointments and just organizational
14 challenges, do those ... is that a problem for patients with
15 PTSD? For example, getting to appointments or just organizing
16 their life?

17 **A.** It can be problem for some members certainly and ...
18 yes.

19 **Q.** And did you get a sense that that was something that he
20 struggled with or are you able to say?

21 **A.** I mean in his case there was from 2011 September to the
22 first appointment missed was there were a number of appointments

DR. VINOD JOSHI, Direct Examination

1 he attended on a regular basis. So I didn't get sense that he
2 had some organizational difficulty in coming to appointments,
3 some of them might be genuine reasons or just forgetting it.

4 **EXHIBIT P-000193 - PSYCHIATRY PROGRESS REPORT - OCTOBER 2, 2012**

5 **(12:00)**

6 **Q.** Throughout the course of this, as you look at the
7 documents or as I look at them, it seems that the marital
8 difficulties continued to be a consistent theme and perhaps a
9 progressing theme. For example, if we could just bring up
10 Exhibit 193, which is your psychiatry progress report from
11 October 2nd, 2012. And just zooming in on your notes at the
12 lower part of the document, you said: "Not doing very well.
13 Recently, his wife has gone to NS and sent him a text to ask for
14 divorce." And, later, you say: "Hoping wife will reconsider her
15 decision."

16 Do you recall if the marital difficulties increased over the
17 time that you saw him or were consistent throughout or can you
18 comment on that?

19 **A.** I think it kind of fluctuated between wanting to be
20 together to sometime wanting a separation. It was also impacted
21 by a long-distance relationship with his wife's studies in Nova
22 Scotia. So there were episodes where ... or they repeated where

DR. VINOD JOSHI, Direct Examination

1 sometime they were together or wanting to be together then some
2 other time, he would get a text or message that she would want
3 divorce. So this undercurrent of marital difficulty was there
4 throughout and even from the first time I met him, it was there,
5 until the last time I saw him.

6 **Q.** It was there throughout.

7 **A.** Yes.

EXHIBIT P-000184 - LETTER DATED OCTOBER 28, 2012

9 **Q.** Okay. So I want to draw your attention now to a
10 document. This one is Exhibit 184. And maybe we can just zoom
11 in at the top of the first page. This is a letter you wrote, I
12 think on October 28th, 2012, to the Senior District Medical
13 Health Officer, Veterans Affairs Canada. So this would be about a
14 year into treatment. And if we could skip over to the fourth
15 page, just the very final paragraph, you said:

16 When reviewed in late spring and early fall
17 2012, he continues to have significant
18 problems with PTSD symptoms. They have
19 gotten worse by wife deciding to separate
20 from him. Cpl. Desmond continues to attend
21 psychotherapy. His long-term prognosis is
22 guarded, in light of poor response to

DR. VINOD JOSHI, Direct Examination

1 treatment, until October 2012.

2 So at that point there was ... obviously, you were concerned
3 about his long-term prognosis or at least you described it as
4 "guarded". Can you give us a sense of where we were in terms of
5 the treatment at that point in terms of his response to it?

6 **A.** So this would have been my letter to support his
7 Veterans Affairs Canada claim for a psychiatric condition. And in
8 that, it will be summary of my ... or mental health involvement
9 for the year. So we kind of had one-year period he seemed to be
10 struggling with PTSD symptoms with the undercurrents of marital
11 difficulties and his wife wanting to separate at that point.
12 Those kind of symptoms or those kind of events and his overall
13 response made me kinds of be in a position to say that long-term
14 prognosis is poor or is the treatment or his response until then
15 wasn't satisfactory.

16 **Q.** I get the sense, and you can comment on this, that his
17 relationship with his wife and his marital difficulties perhaps
18 interfered with or hindered his long-term course of recovery from
19 PTSD?

20 **A.** It would have been one of the factors that would have
21 made negative impact on his recovery.

22

DR. VINOD JOSHI, Direct Examination

1 **EXHIBIT P-000194 - PSYCHIATRY PROGRESS REPORT - NOVEMBER 6, 2012**

2 Q. If we look at the next of your psychiatry progress
3 reports, this one is Exhibit 194. And on this one, if we zoom in
4 on your notes mid page there, you said: "Not doing very well.
5 His wife visits him regularly but they fight a lot." So, again,
6 we see the relationship factors impacting on his mental health.
7 Do you recall if you had an opportunity to discuss with him or
8 whether there was any options for couples counseling or anything
9 of that nature for he and his wife?

10 A. Well, I think ... so I think at one point in time when
11 he and his wife were planning to go for couples counseling, I
12 think one of the problems was that she was living in Nova Scotia.
13 So it was difficult to engage in long-term, like, couples
14 counseling because she had difficulty to be locally available.
15 But at one point, I don't remember exact date, she was at least
16 able to come every alternate week for couples counseling and they
17 were thinking about going for couples counseling, but I don't
18 recall whether they went or not.

19 Q. You said that is something that was available to
20 members and their families, if needed?

21 A. Yes. Couples counseling facilities are available for
22 member and spouse if they indicate the need or willingness to

DR. VINOD JOSHI, Direct Examination

1 engage.

2 Q. And as this goes on, I get the sense that his symptoms
3 or the severity of his symptoms tended to wax and wane. We were
4 just looking at November 6th, I believe, where you said he was
5 not doing very well. If we bring up Exhibit 195, which is your
6 next report, I think from December 13th, 2012, you say in the mid
7 part of it: "Feeling a lot better", I think is what you've
8 written there.

9 **EXHIBIT P-000199 - PSYCHIATRY PROGRESS REPORT - DECEMBER 13, 2012**

10 A. So in November notes, he was having visits from his
11 wife and he was going out more with his daughter and then he went
12 on. So he was trying to overcome the avoidance and social
13 isolation. At that point, his mother had come to stay with him
14 to help with the daughter. And he was working in a new
15 workplace. So he was able to go out more and he was able to ...
16 he was in a different work environment and I think the therapy
17 was starting to be beneficial. So cumulative effects of all this
18 positive changes in his life was helping him to start to feel
19 better.

20 Q. Was it your recollection and impression that he began
21 to improve through 2013?

22 A. So he continued to improve in early parts of 2013. So

DR. VINOD JOSHI, Direct Examination

1 I think towards the end of February 2013, he was telling us that
2 he was functioning well. He was taking more responsibility at
3 work. He had completed therapy with Dr. Rogers and ... so, at
4 that time, the plan was to ... if he continues to remain well, we
5 were thinking about maybe slight reduction in his dose of
6 medication to see if it will help him. And, at that time, we
7 were considering to recommend a return to full duty as well as,
8 you know, less restriction on his employment limitations.

9 Q. And those discussions were ... When did you have those
10 discussions? Was that in early 2013?

11 A. So end of February 2013.

12 **EXHIBIT P-000222 - PSYCHOLOGY PROGRESS REPORT OF DR. W. ROGERS -**
13 **FEBRUARY 19, 2012**

14 Q. Okay. So I'm just looking at a document. This one is
15 Exhibit 222 and this is actually a document of Dr. Rogers, but in
16 the first typed paragraph in the middle of the page she says:

17 Cpl. Desmond completed prolonged exposure
18 therapy for PTSD in the fall of 2012. Since
19 then no recurrence of symptoms. He's been
20 able to do a weapons course in the field
21 without being bothered by the combat
22 environment. He enjoys his work in Stores.

DR. VINOD JOSHI, Direct Examination

1 He's able to go in crowds without discomfort
2 and to do other every day tasks. He says he
3 doesn't think about Afghanistan much anymore.
4 His mood seems stable.

5 **(12:10)**

6 And, again, she references the appointment with you on
7 February 27th. And I think there's a psychiatry progress report
8 from that same date that says much the same. Did you get a sense
9 that he was being completely forthcoming about his condition at
10 that time, that things were indeed better?

11 **A.** So at least from the behavioural aspect of it, it seems
12 that he was trying to come out of social isolation. Avoidance
13 symptoms seems to be less because he was getting out. He was ...
14 he was going to field. He was taking more responsibility. As
15 far as thoughts and intrapsychic emotions with his feelings,
16 certainly he told me and Dr. Rogers that he was feeling better.
17 And I think by that time I had seen him for almost one-and-a-half
18 year. And so I think I got sense that he was truthful in
19 reporting improvement because I think by that time we had
20 established a good rapport with each other. But, again, that's
21 my understanding.

22 **Q.** And so did you, in fact, ease back, I guess, on the

DR. VINOD JOSHI, Direct Examination

1 treatment through 2013?

2 **A.** So I would have reduced the frequency of followup to
3 maybe every six week to every two months to see how he's
4 functioning without more intense involvement with Mental Health.
5 But I did see him in April of 2013 and, again, he was
6 maintaining, you know, wellness. He was back to work. He was
7 doing well except occasional upsets. So he maintained that
8 improvement in April of 2013.

9 **Q.** There was an event, however, in September of 2013 that
10 caused him to regress, I guess, or relapse. Perhaps I'll refer
11 you to Exhibit 185.

12 **EXHIBIT P-000185 - PSYCHIATRIC ASSESSMENT - SEPTEMBER 25, 2013**

13 **A.** So September 2013 ...

14 **Q.** September ... the document that we're pulling up is a
15 psychiatric assessment from September 25th, 2013, and there
16 appears to be a referring physician. It would seem that CPO2
17 Cook referred Lionel Desmond back to you for psychiatric
18 assessment.

19 **A.** So there was certain ... yes. So there was certain
20 events that happened at his workplace that his primary care
21 physician, Physician Assistant Cook, he asked me to see Cpl.
22 Desmond again. So I think, at that time, there were things

DR. VINOD JOSHI, Direct Examination

1 happen at his workplace that caused significant setback to his
2 overall health and so I saw him in that context.

3 **Q.** Okay. And about midway down the letter, you say: "He
4 certainly has significant PTSD symptoms; however, his current
5 issues seem to be related to workplace issues." And I'm just
6 wondering if you recall whether ... if there was, in fact, a
7 recurrence of his PTSD symptoms and if they were related to ...
8 as you say, primarily to workplace issues at the time.

9 **A.** So he kind of experienced certain comments that were
10 made in a racial tone and he reacted to that. But he had certain
11 PTSD symptoms, like avoidance, anxiety in military environment
12 triggers. So he started to get triggered. So one of the concern
13 of the primary care physician was, Is it relapse of PTSD or is it
14 reaction to his environment or workplace issues? So I felt that
15 it was predominantly his response to the workplace issues. And
16 so I called his primary care physician and asked him to maybe
17 give him some sick leave as well as try to get him removed from
18 the workplace, as well as try to address the workplace issues. I
19 think one of the captain, who's a social worker, got involved as
20 well to help him with his workplace issues.

21 **Q.** So were you able to satisfy yourself whether his PTSD
22 at that time was a function of his workplace issues or ...

DR. VINOD JOSHI, Direct Examination

1 **A.** So it kind of ... certain symptoms got worse with the
2 workplace issues, mainly triggers in the military environment and
3 anxiety going to work. And that, in turn, caused more social
4 isolation. But in my judgement, at that time, it seemed more
5 like a reaction to the workplace issues.

6 **Q.** Would it have been unexpected for a soldier who had
7 suffered from PTSD, such as Lionel Desmond, to be affected in
8 that way by an event such as the one he experienced?

9 **A.** No. I think his response would have been
10 understandable, considering what happened.

11 **Q.** Right. I guess what I'm wondering about is any kind of
12 event when a soldier is recovering from PTSD ... any kind of
13 negative event in their life, can it cause a relapse of symptoms
14 or a regression in their condition?

15 **A.** Yes. And especially workplace. It can make things
16 worse going to work.

17 **Q.** Was the treatment at that point in the fall of 2013,
18 was it the same in terms of medication?

19 **A.** So his medication at that time were the same. I had
20 given him some ... another medication just to help him with
21 anxiety at that time, just when he was going to work or dealing
22 with workplace situation. And then I made, again, arrangement to

DR. VINOD JOSHI, Direct Examination

1 see him in one week's time.

2 Q. But the medication that you had originally been
3 treating him with, had that continued or had that been reduced?

4 A. No. That was continued. I think I remember asking him
5 to take extra Risperdal, if needed. So if he was having a bad
6 day, he could take an extra one milligram of Risperdal if he was
7 not doing well. And he was also given a medication to help with
8 anxiety to be taken as needed basis.

9 Q. So some of the meds would have been on an as-needed
10 basis going forward? Was that the plan?

11 A. Yes, at that time, it was to deal with the immediate
12 situation that he was experiencing, to kind of go work on that
13 intense anxiety and agitation while we were trying to resolve his
14 issues related to workplace.

15 Q. Okay. Was it your sense that he would be able to
16 return to the duties that he had performed before in 2013?

17 A. I think, at that point, I remember asking his primary
18 care physician to consider changing his workplace because I felt
19 that going to the same workplace would cause more problems so
20 that was my recommendation at that point.

21 **EXHIBIT P-000187 - COMPLEXITY ASSESSMENT INTERVIEW QUESTIONNAIRE**

22 **- NOVEMBER 18, 2013**

DR. VINOD JOSHI, Direct Examination

1 **Q.** So let me just ... maybe we'll pull up a document.
2 This one is Exhibit 187. Just ... we can zoom in at the top.
3 This is something called a "Complexity Assessment Interview
4 Questionnaire" and it's from November 18th, 2013. And if we just
5 go down ... about halfway down the page, maybe, there's a
6 paragraph that says:

7 OSI (PTSD) and MDD diagnoses in 2011
8 associated with Afghanistan tour in 2007.
9 Therapy completed in February 2013 with a
10 recommendation that the TCAT could be ended.

11 That's the Temporary Category.

12 **A.** Yes.

13 **(12:20)**

14 **Q.** Dr. Joshi, psychiatrist, planned in February
15 2013 a recommendation to return to full
16 duties and gradual reduction of meds.
17 Between the summer and fall of 2013, the
18 member's marriage ended and he also
19 experienced work-related stress, racial
20 comments, from some superiors which resulted
21 in eventual ADR. Member experienced
22 distress, thoughts of wanting to harm

DR. VINOD JOSHI, Direct Examination

1 someone.

2 That was when he had the incident at his workplace. So this
3 document indicates that in February of 2013, you anticipated he
4 might be able to return to full duties. But he had these
5 setbacks or struggles with his workplace and his marriage. Where
6 did you see him in the fall of 2013? Did you see him returning
7 to his full duties or not?

8 **A.** So following the incident at workplace with the racial
9 comments, he became extremely symptomatic. So I think, at that
10 time, it was difficult to consider him to go back in the same
11 work environment. So it started to appear that he was not really
12 recovering and stressors were triggering ... or stressors were
13 causing relapse of his symptoms. Although they may not be as
14 intense as initial presentation, but still it was making things
15 worse. So that time kind of sense started to come that maybe he
16 was kind of not clear recovering and stressors of life were
17 causing setbacks on a regular basis.

18 **Q.** And you continued to see him throughout 2014. Is that
19 correct?

20 **A.** Yes.

21 **Q.** There are a number of psychiatry progress reports
22 through 2014. Do you have a recollection of how his condition

DR. VINOD JOSHI, Direct Examination

1 changed or how he presented throughout 2014?

2 **A.** So once he was removed from his previous workplace and
3 placed into new workplace, and he went through ADR process and he
4 started enjoying his new workplace and there were no racial
5 issues at the new workplace, he started to settle down. And I
6 believe he started to re-engage with Dr. Rogers at that time. I
7 don't remember exact dates but around that time, Dr. Rogers
8 started to get involved again. So I think cumulative effect of
9 different workplace with better work environment, ongoing
10 followup with myself and Dr. Rogers, he started to report that
11 things were getting better for him.

12 **Q.** He was still actively, I guess, under treatment then
13 through 2014, regularly seeing you and seeing Dr. Rogers?

14 **A.** Yes.

15 **Q.** Okay. And again it's difficult, but did you have a
16 sense of what his prognosis was through 2014?

17 **A.** So based on previous incidents where he had significant
18 setbacks after a significant life stressor, it appears that he
19 probably was not able to face, you know, recurrence of different
20 life stressors on an ongoing basis. So although he was
21 functioning better, there was no guarantee or no conviction that
22 if next setback occurs, if he would not decompensate. So at that

DR. VINOD JOSHI, Direct Examination

1 time, long-term prognosis appeared to be kind of relapses of
2 symptoms, like periodic worsening of symptoms.

3 Q. So the concern going forward was that ... what was the
4 word you used "decompensate"? Was that the word you used?

5 A. Correct. Yes.

6 Q. What does that mean?

7 A. It means ... it would mean deterioration in his symptom
8 as well as his functioning in his life.

9 Q. Okay. So any external stressor, at that point, caused
10 you concern that he would decompensate that his symptoms would
11 become worse?

12 A. So the history until that point suggested that any time
13 there was a difficult situation, workplace or relationship, his
14 symptoms are getting worse. So it appeared that any major
15 psychosocial stressors was making his symptoms worse.

16 Q. Okay. Did it appear to you that that might be a long-
17 term situation for Lionel Desmond?

18 A. It appeared to be that way at that point.

19 Q. Okay. What did you see his future in the Canadian
20 Armed Forces as 2014 progressed?

21 A. So at that point it started to become kind of clear
22 that he couldn't do full-time ... full duty role as a soldier.

DR. VINOD JOSHI, Direct Examination

1 And probably triggers in the military environment and risk of re-
2 trauma if he was to be deployed again would make things worse.
3 So, at that point, it started to appear that maybe he would start
4 to look to get release, kind of medically or try to get out of
5 military on medical ground. So it started to appear that he
6 might not able to function in full capacity in the military.

7 Q. And some of the duties that he would have had as an
8 infantryman would have been obviously very difficult for him with
9 that condition ongoing?

10 A. That's correct, yes.

11 Q. Okay. And, at some point, you described the process of
12 being in the temporary category, or TCAT, and then ultimately a
13 member who is going to be leaving, moving over to the permanent
14 category, or the PCAT. Do I understand that correctly?

15 A. Yes. Yes, so that would be the process.

16 Q. And, at some point, Lionel Desmond moved from the TCAT
17 category to the permanent category?

18 A. That's correct, yes.

19 **EXHIBIT P-000186 - MEDICAL EXAMINATION FOR ADMINISTRATIVE**
20 **PURPOSES - OCTOBER 22, 2014**

21 Q. Okay. So I want to draw your attention to ... again,
22 this is not your document, but I just want to ask you about it.

DR. VINOD JOSHI, Direct Examination

1 This is Exhibit 186. And maybe we can just zoom in at the top.
2 This document is signed by Capt. Patrick Gilbride, MD. So that's
3 a doctor in the Canadian Armed Forces, is it?

4 **A.** Yes. He would have been a medical officer, like family
5 doctor equivalent.

6 **Q.** He would have been a family doctor then treating Lionel
7 Desmond at the time or responsible for him?

8 **A.** Yes. So he'll be primary care physician. Yes.

9 **Q.** Okay.

10 **A.** Or who might have seen him at that point.

11 **Q.** Right. Okay. So this document is dated October 22nd,
12 2014. It's called, "Medical Examination for Administrative
13 Purposes." You said:

14 Member requesting to have paperwork complete
15 for Office of Provincial Firearms Officer,
16 stating he is fit to have a personal hunting
17 weapon. First encounter for member with
18 writer, typically followed by Nurse
19 Practitioner Weber. Member had PCAT
20 completed for PTSD.

21 So, at this point, Lionel Desmond has had his PCAT done or
22 he's in the PCAT ... the permanent category. Is that correct?

DR. VINOD JOSHI, Direct Examination

1 **A.** Yes.

2 **Q.** Okay. And that was for his PTSD condition.

3 **A.** Yes.

4 **Q.** And it says, "With ARMEL decisions ..." Can you help
5 us with that acronym, if you're able?

6 **A.** "MEL" is kind of medical employment limitation. "AR",
7 I'm not sure what it means.

8 **Q.** Perhaps "administrative review" or ...

9 **A.** Possible. Most likely.

10 **Q.** Okay. But the "MEL" is medical employment limitations?
11 We just froze again, did we? Able to hear me, Dr. Joshi?

12 **THE COURT:** Mr. Murray, what we're going to do I see
13 we're coming on 12:30, so we're just about to take a break
14 anyway. I think this is a good spot to break just in terms of
15 your questioning at any rate ...

16 **MR. MURRAY:** Sure.

17 **THE COURT:** ... if you don't mind. Dr. Joshi, can you
18 hear us?

19 **DR. JOSHI:** (No response.)

20 **THE COURT:** All right. In the meantime, Counsel, we're
21 going to adjourn for lunch. Be back at 1:30 and we're going to
22 continue to try and reestablish a link with Dr. Joshi. And just

DR. VINOD JOSHI, Direct Examination

1 advise him we've adjourned for lunch, be back at 1:30. All
2 right. Dr. Joshi?

3 **DR. JOSHI:** Yes.

4 **THE COURT:** Can you hear me?

5 **DR. JOSHI:** Yes.

6 **THE COURT:** I know you can't see me, but you can hear me.
7 Oh, there I am. You froze for a minute during the question that
8 had been posed by Mr. Murray. So I think what we're going to do
9 is ... it's 12:30 here, so we're going to break for lunch for an
10 hour ...

11 **DR. JOSHI:** Okay.

12 **THE COURT:** ... if that's fine. And Mr. Murray will
13 continue with the last question that he asked just before we lost
14 the connection with you. But we'll reestablish connection just
15 shortly before 1:30, then come back for the afternoon.

16 **DR. JOSHI:** Okay. Thank you.

17 **THE COURT:** All right. Thank you for your time. Thank
18 you.

19 **DR. JOSHI:** Thank you.

20 **COURT RECESSED (12:30 HRS)**

21 **COURT RESUMED (13:32 HRS)**

22 **THE COURT:** Good afternoon, Dr. Joshi.

DR. VINOD JOSHI, Direct Examination

1 **A.** Good afternoon.

2 **Q.** I think we're ready to proceed, Mr. Murray. I think we
3 had lost the audio just about a time when you were asking a
4 question in relation to Exhibit 186, so maybe you could pick up
5 from there.

6 **MR. MURRAY:** Yes, Your Honour, thank you. It was Exhibit
7 186 we were referring to, if you could bring that up again.
8 Thank you.

9 Doctor, when we broke, I was asking you about some of the
10 acronyms in this and we determined that "ARMEL", the "MEL" part,
11 at least, is "medical employment limitations". Is that correct?

12 **A.** Yes.

13 **Q.** Do you know specifically what Lionel Desmond's medical
14 employment limitations were?

15 **A.** So generally speaking, the medical employment
16 limitations would include things like not handling military
17 weapon, not handling explosive, not driving DND vehicle, or not
18 going into field exercise. So these are some of the standard
19 medical employment limitations that a member is placed on.

20 **Q.** And would those be typical of members who are suffering
21 from post-traumatic stress disorder?

22 **A.** Those would be typical for any member who is seeking

DR. VINOD JOSHI, Direct Examination

1 mental health treatment. So that might be the case for
2 depression, anxiety disorder, any other psychiatric condition as
3 well.

4 **Q.** Okay. So basically any psychiatric condition, those
5 would be typical MELs.

6 **A.** So those MELs will kind of protect member from going
7 into field or going into career courses or getting tasked out to
8 another base so that it gives them time to focus on improving
9 their mental health or work with their treatment team. So these
10 kind of restriction kind of allows member to take more
11 participation in their mental health treatment.

12 **Q.** Would those ...

13 **THE COURT:** How do ...

14 **MR. MURRAY:** Go ahead.

15 **THE COURT:** Doctor, I was going to ask, how do they get
16 imposed? Who makes the decision that there should be
17 limitations?

18 **A.** So these decisions are usually made by the primary care
19 physician, or GDMO is what we call it. So it's the ... MEL is
20 the responsibility of the primary care physician.

21 **THE COURT:** Thank you.

22 **MR. MURRAY:** Do you have a sense in this case, Doctor, of

DR. VINOD JOSHI, Direct Examination

1 when those would've been imposed on Lionel Desmond?

2 **A.** So it would have been generally imposed when he first
3 start accessing mental health treatment. I don't recall exact
4 dates, but generally, it's the time when someone starts attending
5 mental health services.

6 **Q.** So in his case, he started accessing mental health
7 services in 2011, so presumably then?

8 **A.** There was a period where he had improved and gone to
9 full duty, so I'm not sure if, at that point, when he went back
10 to full duty, whether his MEL or his restrictions were relaxed,
11 but maybe they were reimposed after when he had worsening of
12 symptoms. So I'm not ... I don't recall exactly when it might
13 have been imposed or taken ... relaxed.

14 **Q.** Okay. When this ... The entry that we're looking at
15 now relates to his application to have a firearm personally. If
16 a member has an MEL that prohibits him from possessing a weapon
17 as part of his work, is there any, I guess, relationship to
18 whether he can possess a weapon personally or not?

19 **A.** So a restriction of military firearm is a part of his
20 medical employment limitation, so it is put on members with
21 various psychiatric conditions. Some of them are minor, some of
22 them are serious, but essentially, it kind of allows member to be

DR. VINOD JOSHI, Direct Examination

1 taken away from their work responsibility and get into treatment
2 mode. So it does not necessarily mean that assessing primary
3 care physician has determined that this member is a risk to
4 themselves or might be potentially violent. It's a kind of generic
5 restriction that is put on member to allow them to take care of
6 themselves.

7 Their personal weapon is more individualized so many ... I
8 mean very high percentage of members that we see will have
9 personal weapon and sometimes those two may not be one versus
10 other. So, for example, a lot of member enjoy the, you know,
11 when hunting season starts or they enjoy going to the range with
12 their friends. So is it a hobby for them, going with their
13 friends to various activities, while someone with PTSD who is
14 going into field and trying to use a military weapon, it might be
15 triggering them. So there are certain nuances to this issue.

16 **Q.** Okay. In this case, the entry from Cpt. Gilbride says
17 that the ARMEL decisions in May 2014 stating that Lionel Desmond
18 was not fit to safely handle a personal weapon, would they
19 typically ... would that be correct, do you think? Would they
20 typically refer to a member possessing a weapon personally as
21 well as part of employment?

22 **A.** So I think he must have had his personal weapon, but I

DR. VINOD JOSHI, Direct Examination

1 know that some point in his treatment, so Cpl. Desmond, must have
2 presented to get his personal weapon back and that's where he
3 must have made the entry.

4 Q. Okay. And the paperwork from the New Brunswick
5 provincial firearms office, that was provided to you at some
6 point, was it?

7 (13:40)

8 A. I think I remember filling, but I don't ... I mean if
9 you could put it forward, then I can see it, the document.

10 **EXHIBIT P000136 - REQUEST FOR TERTIARY INVESTIGATION - SEPTEMBER**

11 **22, 2014**

12 Q. So I think we have this marked as Exhibit 136. So this
13 is a multi-page document.

14 A. Mm-hmm.

15 Q. And perhaps the best way to do this; first, you can
16 just scan down the first page and just look at the typed portion.
17 If you recall if this portion of the document was provided to you
18 or not. This would be in late 2014.

19 A. So it kind of reports that in November 2014, or in
20 December 2014, I had a call with the firearm department.

21 Q. Yes.

22 A. And so I assume it's accurate. I think it's accurate.

DR. VINOD JOSHI, Direct Examination

1 **Q.** Do you have a memory of speaking to a firearms officer;
2 specifically, Joe Roper?

3 **A.** I don't remember the name but I remember speaking to a
4 firearm officer.

5 **Q.** Okay. And on that document, if we could just flip over
6 to page 6 and maybe zoom in there, further down where the
7 signature is. Is that your signature, Dr. Joshi?

8 **A.** Yes, yes.

9 **Q.** Okay. So this was completed in September ... sorry.
10 You might have to help me with the date there.

11 **A.** I think it's the 4th of ...

12 **Q.** 4th of November?

13 **A.** 4th of November 2014, it looks like.

14 **Q.** Okay. So do you have a memory now of completing that
15 document?

16 **A.** Yes.

17 **Q.** Okay. And if we could just go back to the first page,
18 it looks like, according to Firearms Officer Roper, he had the
19 conversation with you on December 2nd, 2014?

20 **A.** Yes, it must be true, yes.

21 **Q.** Okay. All right. So I know you have some difficulty
22 remembering the specifics, but do I understand that you do recall

DR. VINOD JOSHI, Direct Examination

1 speaking to the firearms officer?

2 **A.** Yes, I do.

3 **Q.** Okay. And can you just tell us. At that time, you
4 checked the box that you felt Lionel Desmond was ... I guess the
5 wording is that he did not pose a safety risk to himself or
6 others in possessing firearms. What was your thought then when
7 you were asked to complete that form?

8 **A.** So by that time in October and ... so by that time,
9 Cpl. Desmond was functioning better. He had ... he was stable.
10 He was not having any major problems. He was feeling good. He
11 was enjoying his workplace. There was no concern about suicide
12 or violence. He was thinking about future and he was happy about
13 getting two-year retention at that point and he had a good
14 summer. So with that, he seems like he was stable for a period
15 of time.

16 Also, he was looking forward to going with his friends for
17 hunting and on the range, so it was ... he was trying to come out
18 of his social isolation and trying to reach out with his friend.
19 And I think a lot of members, especially in the military, they
20 have ... you know, they value their hunting season and value
21 their time in the woods with their friends. So he was looking
22 forward to that.

DR. VINOD JOSHI, Direct Examination

1 By that time, he had demonstrated that he had ... you know,
2 he was in control of his emotions and anger, and when he was
3 dealing with the racial comments and was feeling angry, he had
4 voluntarily handed over his weapon to his friend for safekeeping.
5 So it showed to me that he was, you know, dealing with his issue
6 responsibly. So based on that, I had conversation with the
7 firearm personnel and I indicated that I felt that he was okay to
8 have his firearm back.

9 **Q.** So a couple of questions. One, when you spoke to the
10 firearms officer and completed the form, what was your
11 understanding about how that information would be used? In other
12 words, did you feel ultimately that you were making the decision
13 or was it your understanding that the firearms officer would be
14 using other information and ultimately concluding whether to
15 grant a license again or not?

16 **A.** My understanding at that time was that I was one of the
17 informant to the firearm officer and he might rely on my judgment
18 more than others, but I might be one of the people that he would
19 contact to make his decision.

20 **Q.** At that time, Lionel Desmond was still under your care
21 and was being treated by you and medicated.

22 **A.** Yes.

DR. VINOD JOSHI, Direct Examination

1 **Q.** At that point, his departure from the Canadian Armed
2 Forces was upcoming, I think. Is that correct?

3 **A.** Yes.

4 **Q.** Was there a concern that when he left the Canadian
5 Armed Forces that there could be any break in his care or that he
6 could regress and maybe shouldn't have firearms?

7 **A.** So throughout, from that time until his release, he
8 seemed to be functioning as ... he was kind of stable. His
9 worries were kind of normal worries of anybody who is getting
10 released. So worries about finances, worries about where to
11 live, what next career. So they were kind of normal worries
12 about, you know, phase of life where transition was occurring.

13 So at that point, I did not feel it was sufficient to kind
14 of ask for his firearm to be taken back.

15 **Q.** All right. So that was in December of 2014. You
16 continued to see Lionel Desmond through at least the first half
17 of 2015. Is that correct?

18 **A.** Yes.

19 **Q.** From a couple of entries in 2015, it appeared that he
20 continued to have concerns about his relationship. Is that your
21 recollection?

22 **A.** Yes. He was ... when the release was upcoming, he

DR. VINOD JOSHI, Direct Examination

1 wanted to, I think, sell his house or make plans for the future,
2 and I think he was not sure about his wife's response, so he was
3 unsure if she wanted to be together or what was happening.

4 So that underlying relationship concern was always there and
5 it was impacting him at that point with not being sure about what
6 he was going to do.

7 EXHIBIT P-000216 - PSYCHIATRY PROGRESS REPORT - FEBRUARY 18, 2015

8 Q. So I'll ask maybe if we could pull up another exhibit.
9 This one is 216. So this is the psychiatry progress note from
10 February 18th, 2015. And just zoom in on your notes again there.
11 You said: "Member is doing okay. Getting released from CF in
12 the next four to six months. He continues to be concerned about
13 his relationship with wife. He is not sure if she wants to be in
14 relationship."

15 So, again, that was obviously, or was that a topic of
16 conversation on February 18th, 2015?

17 A. Yes. This kind of back and forth in the relationship
18 was always there. So at that time, as he was making plans about
19 future, specifically what he wanted to do after he was out, he
20 wanted to have some definite answers from his wife about their
21 future plan as a couple. So I think he was unsure what was going
22 on.

DR. VINOD JOSHI, Direct Examination

1 **Q.** When a member is leaving and continues to have a
2 psychiatric diagnosis and there appears to be some strife in
3 their marital situation, does that pose a concern for treating
4 physicians, psychiatrists such as yourself?

5 **A.** I mean at that time, again, he was not showing any
6 psychotic symptoms. He was not expressing any thoughts about
7 suicide or violence. So at that time, it seems like he was
8 managing well considering, you know, what was happening in his
9 life. So this background of undercurrents of relationship issues
10 was there from day one. It was not something new that could have
11 made us, or made me concerned that maybe we need to rethink about
12 his firearm.

13 **(13:50)**

14 **Q.** And just on another note in that entry that we were
15 just looking at from February 18th, 2015, it says: "Patient is
16 thinking about medical marijuana." Did you have occasion to
17 speak to him about the use of medical marijuana?

18 **A.** Yes. So that was the time when a lot of members in
19 Gagetown were trying medical marijuana. It was becoming widely
20 available, so a lot of members were asking about it and going to
21 community physicians to get a prescription of medical marijuana.
22 So his friends were taking medical marijuana, so he wanted to

DR. VINOD JOSHI, Direct Examination

1 discuss with me. So we had discussion about medical marijuana
2 and I was discouraging him to go in that direction.

3 **Q.** You say you were discouraging him from that?

4 **A.** Yes.

5 **Q.** What was your concern about the use of medical
6 marijuana?

7 **A.** So in those days, the medical marijuana was prescribed
8 to several members and there were concerns about, you know,
9 potentially medical marijuana causing worsening of or causing
10 psychotic symptoms or worsening paranoia.

11 Also, a lot of members were stopping their psychiatric
12 treatment when they were going into medical marijuana. So there
13 was concern about, you know, prescription, the amount of
14 marijuana prescribed, as well as potential impact of marijuana on
15 someone with psychiatric diagnosis.

16 So some of those reasons were driving me to discourage him
17 to use medical marijuana.

18 **Q.** Has the science progressed since then? Is this a more
19 viable treatment today or is it still something you would
20 discourage amongst members in that situation?

21 **A.** So at that point, what we were seeing was that a lot of
22 members were getting prescription of large amount of marijuana

DR. VINOD JOSHI, Direct Examination

1 dose during the day. Anywhere from six to eight grams a day and
2 very limited follow-up. So some of them were approaching online
3 pharmacy or online physicians and getting prescription with a
4 one-year supply without any follow-up. So all those were
5 concerning. So if someone is prescribed a medical treatment
6 without follow-up, then it's cause to be concerned.

7 Over time, I think now with marijuana being available in
8 cannabis stores and little bit more .. the hype has kind of
9 subsided to some extent because, at that time, it was promoted
10 for every psychiatric disorder. Any and every psychiatric
11 disorder, we were seeing getting prescription of medical
12 marijuana.

13 So I think now things are much more middle-of-the-road kind
14 of approach. So people are getting lesser amount prescription.
15 They are getting more follow-ups. They are getting more edible
16 form of medical marijuana rather than with high CBD content.

17 So I think even the number of people who are going for
18 medical marijuana have become more modest in their expectations.
19 So although we still ... I mean I still don't recommend medical
20 marijuana, but a lot of members do it anyway and ... but at least
21 there is a trend towards more moderation in the last couple of
22 years.

DR. VINOD JOSHI, Direct Examination

1 **Q.** You said that marijuana can cause symptoms of paranoia
2 and, in some cases, psychosis. Can those be longer lasting even
3 if an individual ceases to use that drug, or are you able to say
4 or express an opinion on that at all?

5 **A.** So in my opinion and my experience with patients who
6 have this issue is that marijuana can cause, like, substance-
7 induced psychosis, especially when someone is taking high amounts
8 and especially with high potency THC-containing products. They
9 can have cannabis and marijuana-induced psychosis, but in some
10 other people, they could precipitate a psychotic episode and that
11 can perpetuate even after marijuana consumption is stopped. So
12 we have seen both kind of scenarios in different patients over
13 time.

14 **Q.** And it's still not something that you recommend for
15 your patients in any circumstance?

16 **A.** No, I mean once the discussions start, I try to not
17 recommend that, but if person is really wanting to try, then
18 recommendation would be to try as low as possible, preferably
19 edible and preferably smallest amount possible, but I don't
20 prescribe medical marijuana, but a lot of patients I see will do
21 it anyway.

22 **Q.** Right. Doctor, you said, or you said earlier, that

DR. VINOD JOSHI, Direct Examination

1 many of the members that leave the CAF in New Brunswick will
2 start to go to the OSI clinic in New Brunswick.

3 **A.** Yes.

4 **Q.** Was that the expectation with Lionel Desmond when he
5 was planning to leave the CAF?

6 **A.** Yes, yes.

7 **Q.** Is that something that you would recommend? Or I'm
8 just wondering about the mechanism. Or is it something that
9 would be almost automatic?

10 **A.** So as members start to get released, they will start
11 having discussions about continuative care. And in that
12 continuative care process, member will be made aware that there
13 is an OSI clinic in Fredericton that is geared towards releasing
14 member and then with their consent, they will be referred to that
15 clinic for follow-up.

16 So typically, I would refer them about three to four months
17 in advance of their release date so that there's enough time gap
18 for their first appointment with their new clinicians in the OSI
19 clinic.

20 **Q.** Okay. And in his particular case, the OSI clinic was a
21 good option for him, was it?

22 **A.** Yes. I mean he had PTSD and they were a good option

DR. VINOD JOSHI, Direct Examination

1 for him to follow-up after he's out.

2 **Q.** The circumstances of a member leaving the Canadian
3 Armed Forces and that transition to civilian life, can you say,
4 from your observation, the effect that that has on some members?
5 The stress that it causes?

6 **A.** So transition is kind of stressful to, I mean, almost
7 all members who are getting released, especially if they ...
8 because military career is kind of way of life. So it's kind of
9 giving up something that someone is familiar with for a long
10 period of time, and going into unknown is a stressful event,
11 stressful change of life. And so we encourage members to access
12 various services that might be available to them in terms of ...
13 so various aspects might include things like mental health
14 continuative care, physical health continuative care, their
15 Veterans Affairs entitlements, pensions, career plan if they're
16 interested in training, retraining them, looking at what
17 retraining they might want to pursue.

18 So it's a whole gamut of events that occur between their
19 release date being known to actually getting released. And
20 multiple people are involved into that process in doing their own
21 kind of part. And, typically, a case manager would take a lead
22 into that and try to make sure that a person is connected with,

DR. VINOD JOSHI, Direct Examination

1 you know, all their finances, pension, VAC, all those layers that
2 a member has ... can access.

3 Q. And Lionel Desmond's release from the military
4 coincided, I guess, with stress in his personal relationship or
5 continued stress in his personal relationship. Is that correct?

6 A. Yes.

EXHIBIT P-000217 - PSYCHIATRY PROGRESS REPORT - APRIL 16, 2015

8 Q. I'll just refer you to another exhibit, one of the last
9 psychiatry progress notes. This one is Exhibit 217. And just,
10 again, if we could zoom in your notes halfway down there, you
11 said: "Not doing very well. Stressed out about upcoming medical
12 release. Planning to put house for sale. His wife is not very
13 communicative about her intention to stay with him or separate.
14 Financial concerns are increased (I guess,) but no SI or HI."

15 So that seemed to be the focus of your observations on that
16 occasion on April 16, 2015, were the marital problems that he was
17 having?

18 **(14:00)**

19 A. So, again, I think this was again same continuation of
20 long-term marital problem that he wanted to sell his house, and I
21 think he wanted to make plans about where he was going to go and
22 where he was going to live and he needed to know his wife's

DR. VINOD JOSHI, Direct Examination

1 intention about what was the plan for them as a couple. Also, I
2 mean he was getting out of military. So there was concern about
3 his pension and income and what they can afford life as a retired
4 military personnel.

5 So these were kind of stressors that were there, but again,
6 he was not having any psychotic symptoms. He was not suicidal or
7 violent. I think the mention of suicidal ideation and violence
8 is really rare. You know, if he had indicated that he was
9 feeling suicidal or violent, then intervention could be something
10 different, like suggesting hospitalization, things of that
11 nature.

12 So although he was dealing with the stressors of release and
13 lack of communication from his wife he was still managing
14 stressor with some worsening of his symptoms, and a lot of it was
15 normal anxiety of heading into unknown after release.

16 **Q.** Did you discuss with Lionel Desmond, or did you note
17 over the time that you dealt with him, if he had any substance
18 abuse issues or if that was something that he used as a coping
19 mechanism?

20 **A.** So substance use issues were ... would be discussed and
21 I think, if I remember correctly, it was not an issue initially.
22 But towards the end I think he was seen by addiction counsellor,

DR. VINOD JOSHI, Direct Examination

1 and again, I can't remember the assessment details. But again,
2 substance use or abuse is a dynamic issue. So if ... I think he
3 was seen by addiction counsellor maybe in early 2015 or around
4 mid 2015.

5 Q. Well, we actually have ... I can refer you to ... it's
6 Exhibit 225. And just zoom in at the top, maybe the first page.
7 This was a document completed by Gail MacKenzie, addictions
8 counsellor, on May 20th, 2015.

9 A. Mm-hmm.

EXHIBIT P-000225 - DEPENDENCY ASSESSMENT - MAY 20, 2015

11 Q. And she says at the beginning: "Member self-referred
12 due to concerns with his substance abuse." I don't know if you
13 recall if you noted whether his substance abuse was potentially
14 on the increase when he was leaving the CAF. Or do you have a
15 memory of that one way or the other?

16 A. So I think when I saw him last was in April or May. I
17 don't think there was concern about substance use at that point
18 but my recollection is not as good now.

19 Q. Okay, and just on the last page of that document. The
20 conclusion was: "Member was assessed both objectively and
21 subjectively and was found to have a high probability of having a
22 substance abuse disorder. Member will continue to follow with

DR. VINOD JOSHI, Direct Examination

1 writer."

2 I would assume that someone who has ongoing struggles with
3 post-traumatic stress disorder and other stressors in their life
4 often use alcohol to cope with that. Is that ...

5 **A.** Yes, yes.

6 **Q.** All right. I think maybe your last psychiatry progress
7 note, which is Exhibit 218, was from June 16th, 2015. And if we
8 just zoom in on your notes further down. You said: "Member is
9 getting released next Friday." So would that have been perhaps
10 your last visit with him in June of 2015?

11 **A.** Yes, a week before his release.

EXHIBIT P-000218 - PSYCHIATRY PROGRESS NOTE - JUNE 16, 2015

13 **Q.** Okay, and how ... do you have a recollection of how you
14 found him there before his release?

15 **A.** So as I indicated in my notes, he had normal anxiety
16 about future job prospects, money. His house was in the market
17 at that time. There were not too many people coming to see the
18 house. His wife had started working in IWK Halifax, and again,
19 he was not sure about their ... how it was going to proceed. He
20 had a follow-up appointment with the OSI clinic. So at that
21 time, usually members, when they're releasing, they get three
22 months' supply of their medications. So he was given

DR. VINOD JOSHI, Direct Examination

1 prescription for three months so that it will tide him over until
2 he gets connected with the OSI clinic.

3 **Q.** Okay. And in terms of ensuring that he gets connected
4 with the OSI clinic, whose responsibility is that?

5 **A.** So typically, when the referral to OSI clinic is made,
6 within a few weeks the member ... there's an intake assessment
7 done by OSI clinic staff. So they kind of get member into their
8 system, so to speak, and give a follow-up appointment. So I
9 would typically ensure that they have a follow-up appointment,
10 and so we are assured that there's a continuity of care.

11 And I think he had intake assessment done with the OSI
12 clinic on the 7th of May. Somewhere around that time.

13 **Q.** And would you have seen him personally after that visit
14 on June 16th, 2015?

15 **A.** No. So once member is released, then normally we won't
16 see a member unless there is some bridging problem where, you
17 know, in the immediate future after they're released if they have
18 any concern, they can call. But generally, if they have
19 appointment coming up in near future, then that would be the last
20 time I would have seen him.

21 **Q.** And specifically with respect to Lionel Desmond, you
22 didn't see him again after that, did you, then?

DR. VINOD JOSHI, Direct Examination

1 **A.** After that I didn't see him.

2 **Q.** Okay. Do you recall if, in his case, you were
3 consulted by physicians from the OSI clinic or not?

4 **A.** I don't recall.

5 **Q.** Okay.

6 **A.** I don't remember.

7 **Q.** The last document that I'll refer you to is Exhibit
8 226. It's a discharge summary, and this is actually dated June
9 13th, 2016.

10 **EXHIBIT P-000226 - DISCHARGE SUMMARY - JUNE 13, 2016**

11 **A.** So it's completed by one of the mental health nurses,
12 Ellen Morris. So this is really a more kind of administrative
13 thing that is ... his file is still open in our database. So
14 she's putting notes to close the electronic medical file. So the
15 note reflects the person is being terminated at our clinic.

16 **Q.** Obviously ...

17 **A.** It doesn't mean that there was any clinical services
18 given to the member.

19 **Q.** I see. All right. And obviously, he was discharged a
20 year before that.

21 **A.** Yeah, so if she goes through the patient list and over
22 time the ... you know, close the cases that have been discharged

DR. VINOD JOSHI, Direct Examination

1 or the treatment is completed. So it's more an administrative
2 completion of ... completing the loop so to speak.

3 **Q.** That document in the plan or recommendation says:
4 "Member released and to be followed in the community if needed."
5 When Lionel Desmond left the Canadian Armed Forces did you have a
6 sense then of what he would have needed going forward in terms of
7 medical treatment?

8 **A.** No. I think that probably doesn't reflect ... it's an
9 administrative document. So when he was released in community it
10 was understanding from me that he will be followed in OSI clinic
11 Fredericton.

12 **Q.** Right. And just more generally, what did you think he
13 would need going forward in terms of his medical treatment?

14 **A.** So he would need a similar replication of the services
15 that he was having with us, that is, psychiatrist still manages
16 his medication, follow-up, and therapy on an ongoing basis and
17 ability to access emergency services if required.

18 **(14:10)**

19 **Q.** And did you have a sense of how long that might need to
20 go on?

21 **A.** I mean his long-term prognosis was guarded. So there
22 are many members who, once they get out of military, once they no

DR. VINOD JOSHI, Direct Examination

1 longer face the military environment, their symptoms improve
2 because they're not triggered on a day-to-day basis of military
3 environment. So they might require less intense follow-up but
4 there are some other members who would require as intensive
5 followup as they were getting before.

6 So I think in his case, his situation, it was obvious that,
7 you know, many time when psychosocial stressors occurred he was
8 showing regression. So it kind of indicated that even in
9 civilian life he would need ongoing follow-up with the OSI
10 clinic.

11 **Q.** All right. Thank you, Doctor. Just one moment.

12 Just a question. You had said, Dr. Joshi, that, you know,
13 external stressors had the potential to cause a patient like
14 Lionel Desmond to decompensate or to regress or to exhibit a
15 worsening of symptoms. And I'm just wondering. When you spoke
16 to the firearms officer, Mr. Roper, appreciating at that time
17 that you were treating Lionel Desmond, at that moment he may have
18 been doing well. Did you convey to Mr. Roper that there was the
19 risk of a decompensation or that he could regress with certain
20 external stressors?

21 **A.** No, I don't recall that, no.

22 **Q.** Okay. Is it important, do you think, for individuals

DR. VINOD JOSHI, Direct Examination

1 who are making those decisions about firearms to have a more
2 complete picture of the risk that's associated with a patient
3 given potential stressors in their life going forward? Do you
4 think more information might be helpful in those circumstances?

5 **A.** So he had firearms even when he was significantly ...
6 even when he started ... even before he started the treatment and
7 he had, I think, firearms for a long period of time with
8 treatment and without treatment. So I think this undercurrent of
9 marital problems were occurring and he was seeking appropriate
10 help, you know, when he required. He was handing over a weapon
11 to a friend. Or he was telling us that he was not feeling well
12 when, you know, things happened in his life at work.

13 So I think at that point I did not tell ... I don't remember
14 telling that this might be issue that they need to pursue after
15 he's out of the military.

16 **Q.** Sure, but even setting aside Lionel Desmond, just more
17 generally, is it better, or do you see some value in firearms
18 officers when they're making these determinations seeking more
19 information from doctors such as yourself so that they have a
20 more complete picture of the risks?

21 **A.** Yes, there will be value. Yes.

22 **Q.** All right. Thank you, Dr. Joshi. Those are the

DR. VINOD JOSHI, Direct Examination

1 questions I have, but other counsel will have questions for you.

2 **A.** Thank you.

3 **THE COURT:** So Ms. Ward, I'm going to let you go last or
4 you can go now if you like.

5 **MS. WARD:** I'd like to defer.

6 **THE COURT:** All right. Thank you. So you can defer.
7 Mr. Anderson, do you have any ...

8 **MR. ANDERSON:** I have no questions, Your Honour.

9 **THE COURT:** No questions? Okay. Mr. Macdonald, do you
10 have any questions?

11 **MR. MACDONALD:** Thank you, Your Honour.

12 **THE COURT:** So Mr. Macdonald, what I might suggest is
13 that because of where you are you might be just as well off
14 using the podium, please.

15 **MR. MACDONALD:** Okay. I'll do that. Sure. Thanks, Your
16 Honour.

17 **THE COURT:** If it's convenient for you.

18 **MR. MACDONALD:** Thank you.

19

20 **CROSS-EXAMINATION BY MR. MACDONALD**

21 **(14:14)**

22 **THE COURT:** Dr. Joshi, this is Mr. Macdonald. He has a

DR. VINOD JOSHI, Cross-Examination by Mr. Macdonald

1 couple of questions for you. Thank you.

2 **MR. MACDONALD**: Good afternoon, Dr. Joshi.

3 **A.** Okay. Thank you. Good afternoon.

4 **Q.** My name is Tom Macdonald and I'm the lawyer for the
5 Borden family. So that is the family of Mr. Desmond's late wife
6 and daughter.

7 **A.** Thank you. Yes.

8 **Q.** Thanks. Sure.

9 Doctor, I just wanted to ask a couple of questions because
10 I'm a bit unclear. So in around four-plus years that you were
11 seeing Mr. Desmond did he have suicidal thoughts? I know he
12 didn't act on things when he was with you but did he have
13 suicidal thoughts?

14 **A.** So initially when I first saw him he had suicidal
15 thoughts but no kind of well-developed ideas or plans. So these
16 were ideas that he had but they subsided within a short period of
17 starting treatment.

18 **Q.** Okay. Is it fair to say that in all of the sessions
19 that you were with Cpl. Desmond that at times he exhibited anger?

20 **A.** Yes, he had anger problems. Yes.

21 **Q.** Would you say it's fair to say that he exhibited anger
22 in almost every session that he spent with you?

DR. VINOD JOSHI, Cross-Examination by Mr. Macdonald

1 **A.** I think anger kind of fluctuated, you know, between
2 sessions. Or sometime it was under control. Sometime it was
3 not. But anger was one of the symptoms that he had.

4 **Q.** I wanted to go through and I don't mean this list to be
5 exhausted ... or exhaustive, I should say. So from listening to
6 your evidence so far today, and you tell me if you think I have
7 something wrong or if I'm portraying it unfairly. I'm not
8 meaning to do that deliberately. So Mr. Desmond was a combat
9 veteran. He actually fought in firefights, correct?

10 **A.** Yes.

11 **Q.** And he had PTSD. You diagnosed him with that.

12 **A.** Yes.

13 **Q.** He did have, which you've just said, some suicidal
14 thoughts at a point in time during the treatment sessions.

15 **A.** Yes.

16 **Q.** And there was an undercurrent - I think that was maybe
17 a word you used "undercurrent", I'll use it too, with marital
18 issues. Is that fair?

19 **A.** Yes, true.

20 **Q.** He was restricted from using military weapons.

21 **A.** Yes.

22 **Q.** He had his New Brunswick firearms license placed under

DR. VINOD JOSHI, Cross-Examination by Mr. Macdonald

1 review and you were a person that he had asked to try to help get
2 it back for lack of a better way to put it is ...

3 **A.** Yes.

4 **Q.** Yes. He also had ... there was an incident where and I
5 think he told you that he had to take his personal weapons to a
6 friend's house to lock them up because of the racial incident in
7 2013?

8 **A.** That's correct, yes.

9 **Q.** Just to focus on that incident for a moment. Isn't
10 that in and of itself a very significant red flag even though
11 it's the civilian side of life that if I feel that I'm so
12 disturbed by someone that I have personal weapons and I need to
13 take them to my friend's house because ... well, let's speculate.
14 Because I might use them with the person that I have a problem
15 with? Isn't that a big red flag?

16 **A.** So I think it is an issue that needs to be concerned
17 with, but I think his response, I thought, was much more
18 appropriate; that when he was dealing with that racial incident
19 he asked voluntarily his friend to take over the weapons. So ...
20 and when the incident subsided and when he started to feel better
21 he must have got it back.

22 So I took it more as a sign of being in control rather than

DR. VINOD JOSHI, Cross-Examination by Mr. Macdonald

1 losing control.

2 Q. Okay. Would you agree that perhaps other psychiatrists
3 may have looked at it from the opposite side, which is it's a
4 sign of not being in control if you have to put your weapons in
5 the nextdoor neighbour's house?

6 A. It's possible, yes.

7 Q. Okay. I'm just going back to my list of factors. He
8 was also using medical marijuana, which I know you're not a
9 proponent of, at the time that he was seeing you or toward the
10 end part.

11 A. So he was thinking about it but he wasn't using it ...

12 Q. Understood, sure. And, of course, he was being
13 discharged in the next four to six months after that last meeting
14 that you saw him.

15 **(14:20)**

16 A. Yes.

17 Q. Would you agree that all of those factors, once your
18 file ... and you made a recommendation to refer him to NBOSI?
19 Correct?

20 A. Mm-hmm.

21 Q. Yes?

22 A. Yes.

DR. VINOD JOSHI, Cross-Examination by Mr. Macdonald

1 **Q.** Sorry. Yes. So ... and I believe, we don't need to
2 turn to it unless you feel you need to. But on your referral
3 form you have an annotation and part of it says: "See file
4 notes." I may not be stating it correctly but see your file
5 notes is what it referred to.

6 **A.** Correct.

7 **Q.** Yes.

8 **A.** Yes.

9 **Q.** So would you agree that the next stage in his
10 treatment, let's say NBOSI, anyone getting your file, if they had
11 looked at your file notes they're going to be able to pull these
12 various factors that I just listed from you from your file notes
13 if they read them? Is that fair?

14 **A.** Yes. They will have access to my notes and they will
15 also make their own independent assessment based on their kind of
16 understanding of his situation.

17 **Q.** Do you know, or are you aware, of any changes you have
18 made in your own medical ... your psychiatric practice or in
19 Canadian Armed Forces as it relates to you being an independent
20 contractor since this incident? Are there any changes that you
21 can think of that have been implemented in the way you see, say,
22 combat veterans and assess them?

DR. VINOD JOSHI, Cross-Examination by Mr. Macdonald

1 **A.** I'm not sure. Any particular area you're looking
2 information for?

3 **Q.** So you saw this patient, and of course we know ... not
4 while he was with you but ...

5 **A.** Mm-hmm.

6 **Q.** ... we know what happened, which is the incident that
7 brings us here today.

8 **A.** True.

9 **Q.** So as a result of that very significant incident with
10 this ex-Forces member are you aware of any changes that either
11 you've made to your practice personally as a contractor with the
12 Armed Forces, or directives that have come down on high to you,
13 to make any kind of changes?

14 **A.** I think ... I mean obviously one is more sensitive to
15 these kind of incidents and probably plays on your mind, you
16 know, when you're dealing with any patient. But I'm not sure if
17 there are any major changes that I've noticed. I mean we still
18 would assess for suicide risk or violence risk same as before.
19 Or maybe assess firearm safety same or similar manner as before.

20 But in the actual personal level you certainly are more
21 sensitive to something like this could happen. So I think at a
22 personal level you might be more responsive to this, you know,

DR. VINOD JOSHI, Cross-Examination by Mr. Macdonald

1 tragic event.

2 **Q.** Sure. Do you think it would be helpful going forward
3 to be able to perhaps put a specific section on the referral form
4 where you might be able to list certain factors? Not necessarily
5 all the ones I listed for you. But certain factors so that
6 immediately upon referral the first person who picks up that pile
7 may see a little overview or an outline jumping out at ... Would
8 that be of any assistance to you?

9 **A.** So I think there are advantages and disadvantages with
10 that approach. So if you kind of narrow it down to a few
11 points. Because a referral cannot be too, too lengthy. So if
12 you narrow it down to very specific few points, then you might
13 miss the details. And sometime the details might not be related
14 to violence or suicide. It might be a side effect of
15 medication. It might be unique characteristic of that
16 particular person.

17 So it might be better for person who is taking over to read
18 the whole document where there will be much more detail. So
19 there are advantages and disadvantages of both approach. So I
20 think ... you know, I would believe that they will read whole
21 document and, you know, make their own judgment after their
22 assessment of the person and not just rely on a referring

DR. VINOD JOSHI, Cross-Examination by Ms. Miller

1 agency's referral documents.

2 Q. Sure. Thank you. And Dr. Joshi, so is it fair to say
3 that you would expect, when you send the file on, that the next
4 reviewing person or agency is going to read your notes, read
5 your file? The file notes?

6 A. Yes, and that would be assumption, yes.

7 Q. Yeah. Thank you very much. I appreciate your
8 patience.

9 A. Thank you.

10 Q. Thank you.

11 **THE COURT:** Thank you. Ms. Miller?

12

13 **CROSS-EXAMINATION BY MS. MILLER**

14 (14:25)

15 **MS. MILLER:** Good afternoon, Dr. Joshi. Can you hear me?

16 A. Good afternoon. Yes, I do.

17 Q. My name is Tara Miller and I'm the lawyer representing
18 the late Brenda Desmond. So Lionel Desmond's mother.

19 A. Mm-hmm.

20 Q. And I also share representation with Mr. Macdonald, who
21 just asked some questions, with respect to Mr. Desmond's
22 daughter, Aaliyah.

DR. VINOD JOSHI, Cross-Examination by Ms. Miller

1 **A.** Sure.

2 **Q.** A few questions for you. I believe I understood your
3 evidence to be that you've been working with the Canadian Armed
4 Forces in Gagetown providing psychiatric services since 2007 when
5 you were recruited to join the Canadian Forces as a civilian
6 contractor?

7 **A.** That's true, yes.

8 **Q.** And so from 2007 forward you've been treating Canadian
9 military members for PTSD, that's correct?

10 **A.** Yes.

11 **Q.** And did I hear you say that more patients have been
12 coming for help since 2015/2016 for PTSD?

13 **A.** No, it's the other way around. So what I said was that
14 between 2007 to 2015 there were ... a significantly large
15 practice of my patient was PTSD patient. And as Afghanistan
16 mission has ended and, you know, there's no longer deployment
17 there, the last few years the patient profile is more of average
18 population with some increases. I mean but not ... percentage-
19 wise it's not as high as before in terms of PTSD patients.

20 **Q.** Okay. Thank you. So since 2015/2016 the number of
21 military members that you've been treating for PTSD stemming from
22 combat missions has decreased.

DR. VINOD JOSHI, Cross-Examination by Ms. Miller

1 **A.** Yes.

2 **Q.** Okay. You indicated that you were recruited by the
3 Forces in 2017 because they were anticipating that psychiatric
4 services would be needed when soldiers would be coming back from
5 combat missions in Afghanistan? Did I understand ...

6 **A.** 2007, yes.

7 **Q.** 2007.

8 **A.** But that's true.

9 **Q.** Yes. I appreciate that that was the military making
10 forward steps to prepare for the return of the military members.
11 Are you aware, Dr. Joshi, of what the Canadian Armed Forces did
12 before these soldiers went into combat to help prepare them for
13 the mental health piece of going to combat?

14 **A.** So I mean I cannot answer in great details. I could be
15 wrong but I think before they go for deployment I think a member
16 go through ... well, the acronym is called DAG. I don't know the
17 detail. I can't ... I don't know the detail of what DAG would
18 mean, but it's essentially screening of members to see if they
19 are suitable to go for deployment, if there are any issues in
20 their life that would prevent them from being deployed, like
21 family issues, like any physical or mental health issues.

22 And typically, social worker or nurses would do that

DR. VINOD JOSHI, Cross-Examination by Ms. Miller

1 assessment. And those people who are deemed to have, you know,
2 some problems where they couldn't be deployed, as they call it,
3 DAG (inaudible), so they are not allowed to be deployed. And
4 then there's a pre-deployment screening that occurs. So there
5 are certain things that were in place before deployment.

6 **Q.** Okay. And was that the case that the DAG screening and
7 the pre-deployment screening would have been in place at the time
8 that you started with the Canadian Forces in 2007?

9 **A.** So I joined in April 2007 and the rota for Afghanistan
10 had left in February. So I was not very clear whether they were
11 doing that before or not, but certainly, after I join I saw that
12 it was being done on a regular basis.

13 **Q.** Okay. Would you have had an opportunity to look at,
14 for example, Cpl. Desmond's DAG screening during the course of
15 your ...

16 **A.** I don't remember. I don't recall looking at that.

17 **Q.** Okay. Thank you. Outside of those two things - the
18 pre-deployment screening and the DAG screening - are you aware of
19 anything else that the Canadian Armed Forces would have engaged
20 in to prepare the soldiers for deployment before they left?

21 **A.** Again, from mental health perspective, I cannot really
22 speak more, but I think as a unit I'm sure they're doing various

DR. VINOD JOSHI, Cross-Examination by Ms. Miller

1 exercises and various seminars and, you know, preparing members
2 for their deployment.

3 Q. Sure. Operationally, but in terms of mental ...

4 A. Correct.

5 Q. ... health, those are the two things that you
6 understand would have been in place.

7 A. That's all I remember, yes.

8 Q. So those are like screening tools for the military.
9 You're not aware of ... as I ... I don't want to put words in
10 your mouth, but other than those screening tools are you aware of
11 any counselling and training, mental health training, that
12 members would actually receive outside of just being screened?

13 **(14:30)**

14 A. I think there used to be some seminars or there were
15 seminars to kind of make people aware of different mental health
16 issues and suicide risk or suicide-related issues but I'm not
17 sure whether everybody got it before they left or whether ... I
18 cannot recall that.

19 Q. Okay. So you believe that there may have been some
20 seminars, educational seminars, but ...

21 A. Right.

22 Q. ... you're not sure when and how pervasive that would

DR. VINOD JOSHI, Cross-Examination by Ms. Miller

1 have been through those members?

2 **A.** Correct.

3 **Q.** Okay, thank you. You were describing for Mr. Murray
4 the multi-disciplinary approach for mental health treatment for
5 members that you would have been part of, and certainly that was
6 a multi-disciplinary approach with Cpl. Desmond.

7 **A.** Mm-hmm.

8 **Q.** My question is with respect to the psychosocial
9 support. When there are issues with a member and their spouse or
10 significant other, I think you referenced that there could be
11 some resources if the member initiated. So, for example, if the
12 member wanted to initiate couples counselling, then that would be
13 a service that would be delivered through the mental health team
14 that you were part of?

15 **A.** Yes.

16 **Q.** Okay. And if the member themselves did not want to
17 initiate any kind of supports for their family members, for their
18 spouse, would it be fair to say that any services that the member
19 did initiate would be left to the spouse or the significant other
20 to access on their own outside of the military umbrella?

21 **A.** I think there are services through Military Resource
22 Centre for member's spouse to seek counselling. I think there

DR. VINOD JOSHI, Cross-Examination by Ms. Miller

1 are other agencies in the community that they could access.
2 Sometimes units could ask a member to seek help if the member is
3 not ready. So there are other ways that spouses can access help
4 in local community.

5 Q. Within the military system?

6 A. Within military system, I think through MFRC, but there
7 may be outside military through their ... I don't know what that
8 plan is called, but something like their insurance plan they are
9 entitled for certain amount of sessions and ...

10 Q. Okay. And when you say ... sorry, when you say MFRC,
11 you mean the Military Family Resource Centre?

12 A. Yes.

13 Q. Okay.

14 A. Yes.

15 Q. And a spouse, for example, could access mental health
16 services through the Military Family Resource Centre but they
17 would have to run that through insurance is that what your
18 understanding is?

19 A. No, insurance would be separate program. So this is
20 like I think seeking help for the spousal support, so to speak,
21 regarding a member who might have mental health issues.

22 Q. Okay. Are you able to speak, Dr. Joshi, about the

DR. VINOD JOSHI, Cross-Examination by Ms. Miller

1 types of help that would be provided through the Military Family
2 Resource Centre to spouses or significant others of military
3 members?

4 **A.** So, I think, there are a number of services but I
5 cannot just recall, you know, all of them, but there are
6 resources. There were also group sessions that we conducted for
7 spouses of patients with PTSD. There is psychoeducational
8 groups, they were held by a couple of my colleagues in the
9 evenings for spouses of members with PTSD. Again, more or less
10 similar fashion to psychoeducational group that Cpl. Desmond
11 would have attended but more geared towards families.

12 **Q.** Okay. And families themselves could initiate
13 attendance at that educational support group?

14 **A.** So the member would have to give us permission to
15 contact the family member and sort of mention that I would like
16 my wife or my significant family member to join and then they
17 would be contacted and they can attend the group sessions. And
18 they will run approximately two to three times a year. Like a
19 course that is, you know, a few sessions running maybe in spring
20 and fall, that kind of thing.

21 **Q.** Okay. So attendance at that course that you've just
22 described would have to be initiated by the member giving

DR. VINOD JOSHI, Cross-Examination by Ms. Miller

1 permission?

2 **A.** Member has to agree, so it's ...

3 **Q.** Agree. Yeah.

4 **A.** Yeah, because it's their privacy issues.

5 **Q.** Okay. I want to touch now briefly on a member's
6 ability to access their medical records, Dr. Joshi, when they are
7 releasing medically or otherwise from the military.

8 **A.** Mm-hmm.

9 **Q.** I understood your evidence to be if they had a family
10 doctor to go to that the records ... the member would sign an
11 authorization, those records would be forwarded to that family
12 physician that would carry on their care. Is that accurate?

13 **A.** Yes.

14 **Q.** Okay. And if they did not have a family physician to
15 follow their care upon release, the member could, still on their
16 own, access their medical records by going to the medical record
17 department and getting a printout?

18 **A.** Yes, they made a copy of their records.

19 **Q.** Okay. And do you have any sense, Dr. Joshi, of how
20 long it takes them to access and get a copy of their records?

21 **A.** No, I'm not aware how long it takes, but I'm aware that
22 they can go and get it.

DR. VINOD JOSHI, Cross-Examination by Ms. Miller

1 **Q.** Okay. The evidence that you gave with my friend, Mr.
2 Murray, you talked about ... we were talking through the fall of
3 2013, and after a period of what seemed to be some stability for
4 Cpl. Desmond he had a relapse and I think your language was he
5 was very symptomatic, and that was following a racial incident in
6 the workplace and also some ongoing but a flare-up of his
7 marriage situation. I think his wife had said his wife had she
8 wanted a divorce at that point.

9 **A.** Mm-hmm.

10 **Q.** And you had indicated that that sort of was a turning
11 point in terms of understanding that this is going to be a
12 lifelong issue for Cpl. Desmond. And I think your words were
13 that there were life ... any major life situation would likely
14 result in de-compensation for him. Is that an accurate
15 characterization of what you had said about that?

16 **A.** Correct. Yes.

17 **Q.** Yes. Okay. And so from that I take, Dr. Joshi, that
18 it was reasonable to expect into the future that his symptoms
19 would ebb and flow, increase and decrease, depending on the
20 nature of situational and life stressors that he would face?

21 **A.** Yes. I mean, yes, to a certain extent, yes.

22 **Q.** Okay. And that stressors involving things like a motor

DR. VINOD JOSHI, Cross-Examination by Ms. Miller

1 vehicle accident, for example, would that be one of those life
2 stressors that could cause his PTSD to flare and his symptoms to
3 increase?

4 **A.** Possible.

5 **Q.** Okay. And certainly the end of his marriage, would
6 that be something that you would expect would cause another
7 episode in his life that would significantly ... could
8 significantly increase his stress ... his symptoms?

9 **A.** Again possible, yes.

10 **Q.** Okay. Can you ... appreciating that we're going to
11 hear from experts later on, but just from your perspective having
12 treated PTSD for many years, can you talk to us a little bit
13 about what ... there ... as I understand it there are different
14 types of PTSD and one is called dissociative PTSD. Does that
15 sound familiar to you? Can you explain ...

16 **A.** Yes.

17 **Q.** ... to us what that means "dissociative PTSD"?

18 **A.** So disassociation is where a person might lose track of
19 reality and might start to behave as if the traumatic situation
20 is recurring and might take those kind of actions as if they are
21 in that situation again. So that what is considered dissociative
22 episode, and the person who is experiencing all of those symptoms

DR. VINOD JOSHI, Cross-Examination by Ms. Miller

1 would be kind of disassociating ...

2 **Q.** Okay.

3 **A.** ... sometime, so to speak.

4 **Q.** Okay. And what causes the disassociation to happen,
5 is it further trauma?

6 **A.** Trauma or trigger or something that remind a member
7 that sets certain memory circuits to get activated.

8 **Q.** Okay. Thank you, Dr. Joshi, those are my questions.

9 **A.** Thank you.

10 **THE COURT:** Mr. Rodgers?

11

12 **CROSS-EXAMINATION BY MR. RODGERS**

13 **(14:39)**

14 **MR. RODGERS:** Thank you, Your Honour. Good afternoon, Dr.
15 Joshi, I'm Adam Rodgers.

16 **A.** Good afternoon.

17 **Q.** I represent the Estate of Cpl. Lionel Desmond, the
18 personal representative. So I just have a few questions for
19 you, Dr. Joshi.

20 I want to talk to you a little bit about PTSD. We've seen
21 from your CV that you've got some ... you have some experience
22 and some research experience in this field, certainly had some

DR. VINOD JOSHI, Cross-Examination by Mr. Rodgers

1 experience with treating soldiers who have experienced PTSD. So
2 I'd like to talk to you a little bit about this for a moment.

3 **(14:40)**

4 One of the things that I read when I read some of the
5 literature is that the symptoms of PTSD can manifest themselves
6 fairly soon sometimes after or often after the traumatic event.
7 Is that a fair way to put things?

8 **A.** Yes. Some people it can start soon and some people
9 might have a delayed response.

10 **Q.** I think that in terms of Cpl. Desmond and he didn't ask
11 for help or didn't come in it seems to see you at least until
12 three, four years after his service, after his combat experience.
13 Do you see some concerns with that ... with that gap in time?

14 **A.** I mean, you know, sooner a person gets into treatment
15 better it is but sometimes one person has to be ready to come in
16 to treatment and sometimes it takes time to kind of realize how
17 severe their problems are.

18 And, again, in this situation it was really more his wife
19 who, you know, persuaded him to seek help. So it's not ideal but
20 that's the reality, that people take longer time to seek help.

21 **Q.** Is that an uncommon feature in soldiers that come to
22 see you, Dr. Joshi, is that somebody else either a spouse or a

DR. VINOD JOSHI, Cross-Examination by Mr. Rodgers

1 friend has encouraged them, recommended them, notified, like, say
2 you should go see somebody and that's what prompted them to come
3 see you?

4 **A.** Yeah, that is common occurrence, yes.

5 **Q.** I wonder, Dr. Joshi, one of the things we're doing here
6 is thinking of recommendations for changes in the future, and do
7 you see anything in that area, in that space of when a soldier
8 returns from active combat, rather perhaps than waiting for them
9 to have ... to realize it themselves or to have it become so
10 clear to somebody that's close to them that they're encouraged to
11 come and seek help, that there's something structured for them
12 when they return from combat to talk about that or talk to a
13 professional such as yourself?

14 **A.** So I think that, you know, a lot of it is ... it's a
15 multi-faceted thing, intervention. So some of it might involve
16 more education, more awareness, more de-stigmatization of the
17 PTSD. And a lot of members will have post-deployment screening,
18 but many times a member may or may not accurately reflect their
19 symptoms. So I think it's a multi-faceted intervention based on,
20 you know, improving acceptance and seeking help seeking
21 behaviour.

22 **Q.** Is there something about that post-deployment screening

DR. VINOD JOSHI, Cross-Examination by Mr. Rodgers

1 that you could see being altered in order to remove some of that
2 stigma or de-stigmatize it in some respect, you know, to say all
3 right, well, you know, for a breakfast program everybody's
4 getting breakfast so it doesn't matter, right. You're back from
5 combat, everybody's going to go through this discussion with a
6 psychiatrist, talk about their experiences and try to identify
7 those symptoms. Would that be something you could see taking
8 place?

9 **A.** I think again, every person is in different stages of
10 their lives, so some members are absolutely not interested in
11 seeking help. Sometime they might be more worried about their
12 career and their promotion or their future. So each person kind
13 of process information differently and come to their own kind of
14 realization of seeking help.

15 It's very common that a member who might be identified as
16 having these assessment and denying (inaudible - skip) to
17 acknowledge that there's something wrong. So unless member is
18 ready to seek help a lot of these interventions will facilitate
19 but not completely reduce that duration of (inaudible - audio)
20 that person has symptoms (inaudible - audio) manifest.

21 **Q.** So, Dr. Joshi, you're skipping a little bit there or
22 the feed was. But what I take it is that you're saying some

DR. VINOD JOSHI, Cross-Examination by Mr. Rodgers

1 soldiers may come back from combat and not be ready to talk about
2 this and, in fact, forcing them to may cause them some
3 difficulties. Is that a concern that you might have or what
4 might be a concern there?

5 **A.** So each person is kind of reacting to their deployment
6 differently and their stage of life is also different. So some
7 of them might be concerned about, you know, not seeking help.
8 Sometimes they might be concerned about if they start talking to
9 somebody maybe things will get worse. Some members might be
10 worried about losing job or losing their pride because sometime
11 ... there's still some stigma in certain situations where a
12 member might feel that they're letting their colleagues down,
13 that they're weak or, you know, not good enough for their
14 friends.

15 So all kinds of factor play into why someone seeks help
16 early or why someone would delay seeking help. But you ... we
17 see all kind of reasons. So some people will come within two,
18 three weeks of symptom development while others will ... it might
19 take years before they will seek help.

20 **Q.** Do you see a way of de-stigmatizing the PTSD
21 experience? In some of the literature it seems to suggest, and I
22 think you mentioned this earlier, is that exposure therapy seems

DR. VINOD JOSHI, Cross-Examination by Mr. Rodgers

1 to be an effective treatment for PTSD, trauma-based exposure
2 therapy. And so, in fact, talking about it isn't going to make
3 it worse but will most likely make it better, would it not?
4 Would you agree with that in terms of PTSD?

5 **A.** Sure, but it's the perception of the member who might
6 not be aware about the research, right. So they might think that
7 if they start opening the ... as they describe it they start to
8 open a can of worms then things will get worse.

9 So a lot of members will try to contain it themselves and
10 try to use their own internal strategies to see if they can go by
11 for a longer period of time.

12 **Q.** So would you see that maybe it's counter-intuitive from
13 the soldier's perspective, but would you see that as being
14 potentially part of an education piece that would teach them
15 well, you think that burying this and not talking about is the
16 way to go, however, our research has shown this. Now whether
17 you're experiencing PTSD or not we're going to tell you these
18 things when you're back from combat as part of the post-
19 deployment strategy?

20 **A.** So I think a lot of educational information sessions do
21 occur from time to time, and I think members' awareness about
22 PTSD is much more than now than it was, say 20, 30 years back.

DR. VINOD JOSHI, Cross-Examination by Mr. Rodgers

1 So I think it's a process of change. So a lot of ... there's a
2 lot of awareness of PTSD amongst those who don't have PTSD and
3 ... but everybody kind of reacts individually to the information
4 as well as means available for help.

5 Q. All right. Thank you, Doctor. And it strikes me from
6 your testimony, that PTSD is certainly one if not the most
7 prevalent condition that needs to be treated for soldiers
8 returning from combat. Would that be a fair statement?

9 A. It's one of the common conditions, yes.

10 Q. And it's predictable as well. You say that after the
11 heavy combat in Afghanistan, that was when you saw the most
12 patients. That's when you were dealing with this the most among
13 our soldiers, veterans. And so it strikes me that in future
14 combat situations where the Canadian Armed Forces is taking part,
15 that this is likely to recur. Would you agree?

16 A. I mean, again, this ... I mean, I'm sure the people who
17 are managing future missions, combat missions, will ... they have
18 learned from these experiences and factor that into their
19 training or their mental health service, development, planning.
20 So I'm sure, you know, they will learn lessons or understanding
21 of this deployment to maybe improve services later.

22 Q. So, on that note, Dr. Joshi, you know, my friend, Ms.

DR. VINOD JOSHI, Cross-Examination by Mr. Rodgers

1 Miller just asked you about pre-deployment and strategies that
2 might be employed in that phase before a soldier is sent to combat
3 and I'm asking you now I guess about post-deployment and if there
4 are recommendations or suggestions or at least areas of
5 exploration that you would recommend in terms of people preparing
6 for future combat missions?

7 **A.** I mean, post-deployment it's really a screening,
8 education, de-stigmatization, availability of, you know, access
9 so that people can access easily. So these are some of things
10 that need to be, you know, developed more and more.

11 **(14:50)**

12 **Q.** It seems, Doctor, I'll switch topics just slightly here
13 which is to ask you about Cpl. Desmond and his concussions.
14 We've heard other ... We've seen other medical evidence that he
15 suffered concussions but it appears in his first dealings with
16 you, at least, that he didn't disclose that to you and we don't
17 know why or I guess you don't know why he didn't disclose that to
18 you, do you?

19 **A.** So, yeah, he didn't disclose any kind of head injury or
20 injuries that might have got an IED blast injuries. Most of his
21 trauma was witnessing experiences, so they were not involving IED
22 blasts. Certainly he didn't disclose any neurological symptoms

DR. VINOD JOSHI, Cross-Examination by Mr. Rodgers

1 at that time as well as any of the follow-up meetings. So, yes,
2 the head injury aspect was not disclosed by him.

3 Q. Now it's possible certainly that he may not have
4 appreciated how significant that may have been. It seems that he
5 may not have even been fully aware of what PTSD was when he came
6 to see you. But it also seems like you asked him about head
7 injuries as well and it still wasn't disclosed.

8 I guess the question I'm leading to, Doctor, is had that ...
9 had you known about concussions and post-concussion syndrome on
10 Cpl. Desmond's part, might that have changed the way you
11 approached his PTSD treatment?

12 A. I mean, if he had disclosed any head injury then
13 certainly I would have factored that into his therapy; that is,
14 maybe he might need therapy in a more slower pace or maybe he
15 might need certain modification but certainly he didn't disclose
16 any head injury to us so ...

17 Q. The broad ... from our review of the literature anyway,
18 the broad strategies of treatment for PTSD alone or PTSD combined
19 with traumatic brain injury or mild traumatic brain injury don't
20 seem to diverge significantly. I mean, like you say you may
21 treat them more slowly or talk to them differently but the
22 overall strategies don't seem different. Is that your

DR. VINOD JOSHI, Cross-Examination by Mr. Rodgers

1 methodology?

2 **A.** I think broad principle ... sorry, the broad principles
3 will be the same but probably the therapist might have to modify
4 the pace or maybe have smaller sessions rather than the long
5 session and maybe give some break in between sessions during the
6 sessions to kind of not burden member with focus and attention
7 spans for a long period of time. So the information could have
8 been ... could be broken into small pieces that can be given
9 slowly.

10 **Q.** Yes. Another factor that seems like it may be
11 important, and you mentioned it in your testimony, is the social
12 environment for a soldier coming back from combat experiencing
13 PTSD and having that social support around them.

14 I wonder if you might comment on the benefits of having
15 fellow soldiers who served in the same combat situation spending
16 some more time together after combat as a decompression. I think
17 they spend two or three days on a beach somewhere before they
18 come back and then they all split up and go their separate ways.

19 Would you have any comment on the benefits perhaps of
20 keeping that group together for a while after combat?

21 **A.** I mean, certainly there's a benefit to having some core
22 group together, but again it depends on various circumstances, so

DR. VINOD JOSHI, Cross-Examination by Mr. Rodgers

1 it's kind of hard to generalize answer to the question. But
2 having a couple of close friends that you went with on a
3 deployment being available for you to interact will be
4 beneficial.

5 Q. Certainly whether it's within ... and sometimes
6 circumstances may mean it's a phone call rather than an in-person
7 visit or something along those lines. But would you be able to
8 comment on the importance of having those friends around, those
9 resources of somebody besides a mental health professional that
10 you could just talk to?

11 A. I mean a follow-up support system is really important,
12 so yes, it would be valuable.

13 Q. In the four years plus since this tragedy you've
14 continued to treat soldiers with PTSD. And I want to ask you,
15 Doctor, are there any new developments that you can tell us about
16 over the last three or four years in terms of treatment
17 strategies or anything else that has come along that you, you
18 know, might have used with Cpl. Desmond or else it just may be of
19 interest to us here at the Inquiry?

20 A. No, I think it's more validation of the treatment
21 strategies in terms of therapy, that's what I'm more familiar
22 with.

DR. VINOD JOSHI, Cross-Examination by Mr. Rodgers

1 **Q.** Anecdotally, we hear some reports of the medical
2 marijuana being somewhat effective. We've heard from Dr. Paul
3 Smith and his clinic ...

4 **A.** Mm-hmm.

5 **Q.** ... in Fredericton. I'm not sure how aware you would
6 be of his operations, his clinics there.

7 **A.** Yes, I am.

8 **Q.** What do you see from those in dealing with soldiers who
9 are also going to those clinics to consume medical cannabis and,
10 you know, hang out with their fellow soldiers? Have you seen
11 good results from that at all?

12 **A.** So, I mean, this area needs a lot of research. And
13 right now, a lot of members are doing it so they are kind of
14 following the pattern, I think. Compared to 2015 the trend is
15 changing slightly my observation.

16 So I don't personally prescribe medical marijuana, but I
17 have seen a lot of members who might go in that direction. So I
18 think the trend is slightly changing in terms of how much they
19 use, the method of consumption, the percentage of THC versus CBD
20 content that people are using. So I think there's that subtle
21 shift that is occurring but I think obviously it needs, you know,
22 research and validation.

DR. VINOD JOSHI, Cross-Examination by Mr. Rodgers

1 **Q.** There seem to be other strategies that are coming along
2 that are maybe more in the category of general mindfulness.

3 **A.** Mm-hmm.

4 **Q.** But, you know, exercise, certainly for anybody that's
5 able to in terms of processing any mental issues that you may
6 have going through. You know, would you ... is that something
7 you recommend for your PTSD patients? The patients with PTSD,
8 sorry.

9 **A.** So, yes, I mean mindfulness, exercise, any medication-
10 based approach where a person focuses on their body, mind, their
11 thoughts is all part of that comprehensive treatment. But a lot
12 of it is ... cannot be ... it more like a self-help strategy. So
13 you can ask someone that it's going to help you if you're
14 engaging in hobbies or exercises, but it definitely requires that
15 person to go and do it.

16 **Q.** The same with, for example, you know, nature exposure,
17 nature therapy, spending time in the woods, you know, walking
18 along trails, that sort of thing. Is that something you
19 encourage as well to those that are able?

20 **A.** Again, it's part of the hobbies and kind of generally
21 trying to do anything that helps you to feel relaxed and more
22 connected with your surrounding is helpful.

DR. VINOD JOSHI, Cross-Examination by Mr. Rodgers

1 **Q.** Dr. Joshi, the United States military has some research
2 on their web presence, and they talk about three general
3 treatments for PTSD. One being cognitive processing therapy; the
4 second being trauma-focussed exposure therapy; and the third is
5 eye movement desensitization and reprocessing. We heard briefly
6 about this in our earlier phase of the Inquiry, but is ... I want
7 to ask you about this and is this something you use? What do you
8 think of it? How effective is it? Sorry, the third one in
9 particular, the eye movement desensitization and reprocessing.

10 **A.** So EMDR is one of the trauma-focussed therapy that is
11 being used and EMDR, along with the cognitive processing therapy
12 and prolonged exposure, are these three treatment therapy
13 strategies that are used widely. So EMDR is used in our clinic
14 by different therapists. There are a number of therapists in
15 Fredericton/Oromocto area that are trained in EMDR.

16 So, ultimately when someone starts therapy, very soon the
17 therapist and the patient would kind of come to some
18 understanding which direction or which road to take in terms of
19 treatment approach. So the therapist will usually then make
20 recommendation that maybe we should try EMDR or we should try
21 cognitive processing therapy and try to run that approach to see
22 if that will be beneficial. So EMDR, there are a number of

DR. VINOD JOSHI, Cross-Examination by Mr. Rodgers

1 clinicians in our clinic as well as, you know, in the community
2 who can provide EMDR treatment.

3 **(15:00)**

4 **Q.** And you've found it ... have you had an opportunity to
5 examine individual patients after they've experienced EMDR to
6 make any determination as to its effectiveness?

7 **A.** It certainly seems to help many patients. Like any
8 treatment, it doesn't work for everybody, but a substantive
9 number of patient it seems to help them to process their trauma
10 and they seem to be more at ease with their trauma after EMDR.
11 So yes, it seems to be effective, but like any other treatment,
12 it's not a hundred percent effective.

13 **Q.** All right. Thank you, Dr. Joshi. Those are the
14 questions I have for you.

15 **A.** Thank you.

16 **THE COURT:** Mr. Hayne?

17 **MR. HAYNE:** No questions, Your Honour.

18 **THE COURT:** Thank you. Mr. MacKenzie?

19 **MR. MACKENZIE:** No questions, Your Honour.

20 **THE COURT:** Okay. Ms. Grant?

21 **MS. GRANT:** Thank you, Your Honour.

22

DR. VINOD JOSHI, Cross-Examination by Mr. Rodgers**CROSS-EXAMINATION BY MS. GRANT**1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22**(15:01)**

MS. GRANT: Just a sound mic check, Dr. Joshi. Can you hear me okay?

A. Yes, I do.

Q. Okay. Great. Dr. Joshi, my name is Melissa Grant and I represent the Attorney General of Canada and we're representing, along with my colleague, Lori Ward, the various Federal entities involved and including DND/CAF, Canadian Armed Forces.

Just a few more questions as we're approaching the end of the day. Thank you very much for your patience throughout the day. We really appreciate it.

Turning to Exhibit 183. Just the first exhibit that we looked at today. You can just pop that up and page 2. It's four pages. But just some general questions, Dr. Joshi. This was your initial meeting and assessment with Lionel Desmond.

Correct?

A. Yes.

Q. And you had spoken earlier with Mr. Murray about that this report was a combination of what was reported to you by Lionel Desmond and then also other information that you had

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 gleaned. So I guess my question is, to what extent do you rely
2 on the patient to provide you with accurate information?

3 **A.** I mean you would rely on patient for accurate
4 information in a number of areas. There is certain information
5 that only patient can provide. You know, it might include
6 things like how they feel about their relationship, if they had
7 any traumatic incidents in childhood. So there's certain
8 personal detail that nobody else can know and person might
9 provide, but there's other information that might be
10 observational in nature or other people's interaction that could
11 be taken into consideration. So it's a mixture of both.

12 **Q.** So he's reporting, you would agree, his own views of
13 his situation, like his childhood experiences.

14 **A.** Correct, yes.

15 **Q.** And if you're writing that down in September 28th,
16 2011, you'd agree that that is an accurate representation of
17 what Lionel Desmond would have said to you at that time.

18 **A.** Yes, because typically I would do my notes immediately
19 after the session. So it would be done immediately.

20 **Q.** And in that report Mr. Desmond indicated that he had
21 sustained severe physical and verbal abuse when he was a child.
22 Is there any more detail about that that you recall discussing?

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 **A.** Essentially more with the involvement around the
2 neighbourhood and the children, some of those that he mentioned
3 about his life experiences growing up in his community.

4 **Q.** And did he mention how he felt he did at school?

5 **A.** I think he didn't do that well from academic
6 perspective but I think he mentioned to get Grade 12 education.
7 So kind of average, just on what ... below-average might be my
8 sense.

9 **Q.** Thank you. Just moving on to ... well, it comes out of
10 that report, and we've discussed it a little bit with various
11 counsel. But there was no history of head injuries. You have
12 said that a couple times. That's right.

13 **A.** Yes, I mean he never disclosed any head injury.

14 **Q.** And so one thing that we really haven't spoken about is
15 an issue of later on after Lionel Desmond's treatment with you is
16 complete he went to Ste. Anne. Are you familiar with that
17 facility?

18 **A.** I'm familiar with the facility, yes.

19 **Q.** Okay. And one of the recommendations that came out of
20 his stay there was that he should have a neuropsychological
21 evaluation. So my question to you, Dr. Joshi, is, during your
22 time when you treated Lionel Desmond and you saw him, you said,

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 over 30 times - and also in concert with Dr. Rogers - you'd agree
2 that you didn't see that a neuropsychological evaluation was
3 warranted.

4 **A.** No. So neuropsychological evaluation is done when
5 there's a history of head injury and there's some evidence that
6 there is some cognitive deficit, there is some difficulty in
7 grasping information, memory, different concepts. So
8 cumulatively, between myself and Dr. Rogers, we must have seen
9 him over a period of three or three and a half years multiple
10 times. At least it didn't occur to me that he had that kind of
11 difficulty where he couldn't remember information. In fact, he
12 responded to trauma processing in reasonable time.

13 So usually when people have head injury and they have
14 cognitive deficit the psychotherapy becomes clear that they're
15 having hard time in dealing with the trauma processing or getting
16 understanding of the concepts or not able to generalize what they
17 learn in therapy in the real life. So some of those thing we
18 didn't notice.

19 So certainly, based on all this information, I think we
20 didn't choose to go for neuropsychological assessment.

21 **Q.** So there weren't any, I guess, alarm bells raised in
22 your mind.

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 **A.** At least from the information we had, we didn't ... or
2 I didn't.

3 **Q.** And in looking at what you had ... I think you used the
4 phrase "cognitive deficits" that you didn't see that. Was, to
5 your knowledge, Lionel Desmond able to complete things like
6 filling out paperwork? Was he able to do that?

7 **A.** He was able to do that. Sometime with anxiety he might
8 need more time, but some of it could be related to avoidance and
9 anxiety other than cognitive deficits.

10 **Q.** Maybe you could help us, and I guess I'll back up a
11 little bit. Start with the concept that if somebody is a member
12 of the Canadian Armed Forces their healthcare is provided by the
13 Canadian Armed Forces. That's correct.

14 **A.** Yes.

15 **Q.** So if you had seen in Lionel Desmond, or perhaps in
16 other people that you're treating, if you thought a
17 neuropsychological evaluation was warranted is that something
18 that can be done where you are Base Gagetown?

19 **A.** Yes, so we have a few clinicians ... a few
20 psychologists who are experienced in doing neuropsychological
21 assessment. So if anyone requires a neuropsychological
22 assessment or testing, then we would refer them to those

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 clinicians for the evaluation, and we regularly do that kind of
2 evaluation, you know, on an average ... I would say at least a
3 couple of times a month (audio drop).

4 Q. Sorry, Dr. Joshi. You just cut out at the end. You
5 said a couple of times a month and then we missed the rest.

6 A. Yes, so we will typically refer members for
7 neuropsychological assessment wherever it's indicated.

8 Q. And can you just give us some idea? It's an
9 assessment. So it's not treatment, per se, is that right?

10 A. Neuropsychological assessment, yes. So assessment will
11 give guidance to sort of treatment strategies.

12 Q. So we lost the part after treatment strategies.

13 A. No, that's all I said.

14 **(15:10)**

15 Q. Okay. Sorry. Just catching up with you. So it could
16 help inform clinicians on what treatments might be more
17 effective, potentially.

18 A. Yes, and what strategies might work better and what
19 strategy may not work better.

20 Q. So where you are ... and I appreciate you're in New
21 Brunswick and we're here in Nova Scotia. do you have any idea how
22 long it would typically take to obtain a neuropsychological

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 evaluation?

2 **A.** So currently, it could take anywhere from six to eight
3 weeks to get ... for the patient to get to see the
4 neuropsychologist who will do the assessment, and I'm giving you,
5 like, a broad kind of ... broad range. And probably it might
6 take three to four months to get the report back. So it's a very
7 specialized testing. So it takes a couple of days to complete.
8 So ... and there are very few people who do it. So we can get it
9 done within ... you know, within, say, two or three months on an
10 average.

11 **Q.** And so my understanding, they take a couple of days to
12 complete. Is that right?

13 **A.** Yes.

14 **Q.** And if one were conducted in the CAF then there would
15 not be a cost to the member.

16 **A.** No.

17 **Q.** But if, say, a civilian needed one of those, do you
18 have any idea of the cost?

19 **A.** I think it's very expensive depending on who is doing
20 it. It could be a few thousand dollars.

21 **Q.** And you don't have any idea of the wait times for
22 something like that in Nova Scotia?

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 **A.** I'm not aware of wait time in Nova Scotia.

2 **Q.** Moving on to a different topic. You had talked earlier
3 about a PTSD family support group.

4 **A.** Yes.

5 **Q.** And that was going on where you are at Base Gagetown?

6 **A.** Yes, we had a number of groups running during the year.

7 **Q.** And so that was for family members?

8 **A.** So it was predominantly for spouses but not
9 exclusively. So most of the members, they would have a spouse.
10 So ... but there would be certain situation where it could be a
11 parent or it could be somebody else who might want to join the
12 group.

13 **Q.** Okay. And at a certain point, we understand from the
14 evidence that Lionel Desmond's mother came to live with him for a
15 little bit. Did she ever contact you, or did Lionel Desmond ever
16 contact you, to have her involved in that kind of a group?

17 **A.** I remember ... again, my memory is not very accurate,
18 but I remember seeing and talking to her a couple of times and
19 certainly Cpl. Desmond would be aware of that capacity. So if he
20 wanted she could have then connected with that group.

21 **Q.** And did Mr. Desmond ever give his consent or mention
22 you speaking to his sisters?

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 **A.** No, he didn't. He didn't mention me speaking to his
2 sisters.

3 **Q.** Or his ... did he ever discuss his relationships with
4 his sisters or his mom?

5 **A.** I think throughout he was more talking about his
6 relationship with his wife and sometime it would be about his
7 daughter. I think he was close with one of the sisters, from
8 what he told me, more than others. So that was, I think ... so
9 most of the time he was talking more about his wife and daughter.

10 **Q.** Okay. And a spouse would be the next of kin.
11 Recognized as.

12 **A.** Yes, right.

13 **Q.** Dr. Joshi, we talked a fair amount with Mr. Murray
14 about what I would call, I guess, the through-line of marital
15 discord that was running, as you said, from the first meeting to
16 the last. Is there anything that strikes, in your mind, that
17 maybe we haven't discussed that was an issue between Mr. Desmond
18 and his wife?

19 **A.** I think their relationship was back and forth. I mean
20 it was ... and I think the long-distance relationship was major
21 problem as well. But I think ... I don't think I'm going to add
22 anything to what we've already discussed.

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 **Q.** Did he ever mention any issues getting along with his
2 in-laws?

3 **A.** I think there was one incident - I don't remember
4 exactly - where there was some sort of friction occurring between
5 his in-laws and him. But just it was mentioned in passing. I
6 think it was probably related to something around Christmastime
7 interaction.

8 **Q.** And just a couple questions on the MELs, the Medical
9 Employment Limitation. Just to clarify some language. I was a
10 bit confused earlier. So I'm hoping you can help me with that.
11 So we talked about temporary category or TCAT. We're doing okay
12 with acronyms. In the military context there are usually a lot
13 of them. So I think we're getting through that okay. But when
14 we talked earlier about a personal weapon and that the Medical
15 Employment Limitation would be that Lionel Desmond couldn't have
16 a personal weapon. It's still the military context, correct?

17 **A.** Personal weapon in the military context ...

18 **Q.** Right.

19 **A.** ... as well as military weapons.

20 **Q.** So you know, for example, if I was a military police
21 officer, as part of my job I would be issued a personal weapon.
22 Is that right?

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 **A.** It's right, and I'm not sure what the clinician who
2 made that note meant, whether he meant the personal weapon that a
3 person could have when they are in the field or if they meant
4 personal weapon that he had in his home. I didn't know what they
5 implied.

6 **Q.** Right, so it's our understanding that in this context
7 it's personal weapon in the military context versus the civilian
8 firearms program. So that the military is not commenting on, in
9 those documents, his ability to access weapons via the civilian
10 program.

11 **A.** That's most probably true.

12 **THE COURT:** I just have a question, then. Doctor, if I
13 might. Just a minute ago when you were asked that question in
14 the context of personal weapons and you said it was in the
15 military context and military weapons. So would it be your
16 understanding that he was also not to possess military-issued
17 weapons?

18 **A.** Yes, so if he's going on a field exercise and he's
19 taking part in some kind of training, then he is not allowed to
20 have that weapon under his MEL.

21 **THE COURT:** Thank you.

22 **MS. GRANT:** So it's just ... I guess just to back up a

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 little bit. You had said earlier it was a generic condition. So
2 was that ... it's a common condition for someone who has a
3 Medical Employment Limitation.

4 **A.** Yes.

5 **Q.** And you'd agree that it ... there's no pronouncement
6 that it would mean that this person who has this limitation is
7 necessarily going to be violent.

8 **A.** True.

9 **Q.** So it's our understanding that a personal weapon is a
10 military weapon.

11 **A.** Yes, but I don't know what the person who wrote it
12 meant.

13 **Q.** Okay. It's been suggested during the Inquiry that no
14 one with a mental illness should be allowed to have a gun and I'm
15 just wondering if you could perhaps comment on that.

16 **A.** So I think, you know, it's a complex issue. So I think
17 mental disorder is a very broad term. So it will have condition
18 which are very minor and transient in nature to very serious
19 mental illness including various psychotic condition. And many
20 mental condition might improve with treatment and person could
21 have years of healthy, active life, and some conditions are
22 chronic where a person is always symptomatic.

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 There's also kind of societal policy and public policy kind
2 of thing as to who should have a gun and who shouldn't. So I
3 think it's a complex issue.

4 **Q.** Thank you, Dr. Joshi, and just turning to a couple more
5 questions about PTSD. You obviously have extensive experience
6 treating members with PTSD. Ms. Miller asked you earlier about
7 dissociative PTSD. Is that something that you saw in Lionel
8 Desmond, or had those ... or could he discern reality during your
9 time with him? Was there anything that suggested to you that he
10 couldn't tell reality from ... fact from fiction?

11 **(15:20)**

12 **A.** So when ... during my involvement with him, and
13 certainly my assessment of him, it appeared that he had very few
14 dissociative experiences and this subsided with treatment. And
15 ... but again, these symptoms can fluctuate. So it's possible
16 that some other time he could get into more dissociative episode.
17 But substantive part of his involvement with us, they seemed to
18 be under control.

19 **Q.** And just generally, PTSD and ... just for our education
20 purposes. It's ... I think you'd agree that in the general
21 population about nine percent of people have a PTSD diagnosis?

22 **A.** That's an average kind of consensus. Approximate

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 prevalence.

2 **Q.** And that a PTSD diagnosis is actually more prevalent in
3 women?

4 **A.** That's true. In general population, yes.

5 **Q.** In the general population. And having a PTSD diagnosis
6 in and of itself does not make a person statistically more likely
7 to commit acts of violence, would you agree with that?

8 **A.** So there is higher chance of committing violence but it
9 does not mean that everybody who has PTSD is prone to violence.
10 So it's slightly higher risk compared to average population but
11 it doesn't mean it's hundred percent.

12 **Q.** Is there a difference between self-harm versus
13 homicidal ideation?

14 **A.** So homicidal ideation would be rare compared to
15 suicidal or self-harm ideation in a person with PTSD.

16 **Q.** You've ... the word "multifactorial" is, I guess, a
17 word I've heard that you describe this sort of situation where
18 something could potentially lead to ... you said a rare event
19 like homicide. Is that your understanding that it's a
20 multifactorial issue?

21 **A.** Yes.

22 **Q.** And in your career where you've treated numerous people

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 with PTSD, this particular situation that we're talking about
2 during this Inquiry, is that the only time you've experienced
3 something like this as a treating professional?

4 **A.** Yes, so this is the worst kind of experience I had in
5 terms of one of my ex-patient committing, you know, family and
6 himself. So this is the worst situation I've faced in my life.

7 **Q.** Can you ... or would you agree with the statement that
8 more treatment is not always better?

9 **A.** So PTSD treatment is balanced between building up
10 resiliency versus, you know, exposure is the treatment. So you
11 had to expose person to situations that they're avoiding. So if
12 you want to do that then you had to enable member to face the
13 situation that they have been avoiding. So sometime you had to
14 back off and see if person is able to manage, you know, after a
15 certain period of therapy to see if they can handle their life
16 events and situations or not. So whether they can generalize the
17 skills that they learn during the therapy in their real life.

18 **Q.** And I guess in a similar vein one sort of, I guess,
19 theme we've heard from you today is that everybody is different,
20 that you have to ... I guess maybe you'd agree with the statement
21 that there's no one-size-fits-all approach to a person with PTSD.

22 **A.** There are broad strokes of treatment, but certainly,

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 that has to be calibrated to individual need.

2 Q. So would you agree that it's not unusual that sometimes
3 it takes time to find what works best for an individual patient?

4 A. That's true.

5 Q. And in some cases in-patient treatment may not be
6 viewed as superior to out-patient treatment. Maybe they respond
7 better in one situation or another.

8 A. So in-patient treatment has to be used judiciously when
9 it's needed, especially when someone is suicidal or potentially
10 violent. But long-term in-patient treatment may or may not be
11 helpful in the long run. Certainly, it can help in certain
12 situation, but it has to be calibrated to person's need.

13 Q. And I think you'd agree with me that a person with PTSD
14 may expect I guess what I'd call a new normal, that maybe they
15 don't go back to the person that they were before.

16 A. I mean when someone is seen for the first time your
17 treatment goal is to improve quality of life and functioning to
18 as close to their pre-PTSD days as possible, but during the
19 course of treatment sometime it becomes apparent that some people
20 are not going to be that perfectly back to their pre-PTSD
21 functioning. And sometime half-glass-full is as good as
22 treatment can achieve because ... just because of the intensity

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 and range of symptoms.

2 Q. Just a couple questions on I guess what I will refer to
3 as involuntarily holds. There was ...

4 A. Sorry, what? I didn't hear.

5 Q. Involuntarily ... sorry, involuntarily holds. So there
6 was some suggestion - I read in a media report, actually - about
7 Lionel Desmond being allowed to leave Ste. Anne, and I guess I
8 would ask you about the concept of autonomy in a patient's care.
9 So would you agree that that includes the right to make
10 potentially poor decisions?

11 A. So typically, when person is about to leave a hospital
12 or a treatment facility, if person is perceived to be imminent
13 danger to themselves or others due to a mental illness, then that
14 person can be detained in the facility by using **Mental Health**
15 **Act**. If the person is in the community, the community
16 psychiatrist or doctor could use what is called Form 1 of the
17 **Mental Health Act**, which allows 72 hours of assessment.

18 But if there's no concern about imminent danger, then
19 there's a ... then person have personal autonomy to take
20 decisions. So if person says, I'm not willing to cooperate with
21 the treatment, and the treating doctor feel that they are not
22 imminent risk to themselves or others, then, generally speaking,

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 person were able to discharge themselves or cease the treatment.

2 **Q.** And you never had any experiences with Lionel Desmond
3 where you thought he posed an imminent risk of harm to others,
4 himself or others?

5 **A.** No. I mean when he had suicidal ideas or when he had
6 thoughts about any violence it was ideas. It was not imminent
7 idea that was felt that he is going to act immediately on it. So
8 there was no reason to consider him for involuntary admission to
9 hospital. And this is more when he was under our care.

10 **Q.** Just a couple more questions on the issue of medical
11 records. I think you noted that sometimes it takes a while for
12 veterans who are transitioning if they don't ... either they
13 don't know where they're going or they are going to a place where
14 it's difficult to find a family doctor, is that right?

15 **A.** Yes.

16 **Q.** And in terms of completing a form to obtain medical
17 records, would you agree that the member's consent is a necessary
18 step?

19 **A.** Yes. So if we are referring person to OSI clinic or
20 any clinician in community member has to give consent for their
21 medical record to be released to the receiving clinical physician
22 and so that is needed. So the person on the other end of pathway

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 person ... the member can go to medical record and get copy of
2 their medical record and take it wherever they are accessing
3 treatment.

4 Q. And when you talked earlier about sending the records
5 to the OSI clinic ... we've been using that word "OSI". So it's
6 "operational stress injury", is that right?

7 A. Yes, yes.

8 Q. And those clinics are sort of scattered throughout
9 Canada. Is that right?

10 A. Yes.

11 Q. And to your understanding, who attends those clinics or
12 who is able to seek treatment at an OSI clinic?

13 **(15:30)**

14 A. So retired military personnel. I understand RCMP
15 officers and other front line can access. But in my practice,
16 it's mainly the retired military personnel would go there.

17 Q. And do you have ... and there ... my understanding is
18 that their provincial facilities, but they're funded by Veterans
19 Affairs Canada. Is that your understanding as well?

20 A. Yes.

21 Q. And just on the issue of medical marijuana, I think you
22 noted that one of the problems you saw is that people were given

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 large prescriptions of medical marijuana and then had no follow-
2 up for, you know, it could be up to a year. Is that right?

3 **A.** So there are a lot of these online pharmacies around
4 and doctors ... members are getting prescriptions and very
5 limited follow-up appointments. So if a product is prescribed as
6 a medicine, then the person who is prescribing should be
7 following it up to make sure that dose is accurate and there's no
8 adverse effect and the treatment is, you know, going in the right
9 direction. So a lot of times, we were seeing that.

10 **Q.** And where you are, did you see peer pressure in terms
11 of members wanting other members to use medical marijuana?

12 **A.** I think that was prevalent during those days, yes.

13 **Q.** And that was not that ... medical marijuana, a
14 prescription for medical marijuana, is not something that was
15 covered by CAF. Correct?

16 **A.** No, no.

17 **Q.** And in what was then known as the JPSU and is now a
18 transition unit, that's not a treatment unit. Correct?

19 **A.** I mean it's kind of a treatment, in a sense, work-
20 related. So if the member who is getting released or who is on
21 permanent category who is not able to do their regular work might
22 get posting there, where they might, if they're getting released,

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 might look at what future holds for them. So they might use the
2 opportunity to maybe get a placement in civilian side to try out
3 a different placement to see what exactly they like to do after
4 they're out or it might be a placement within the base in a
5 different capacity, different kind of work to kind of see if that
6 will attract them as a future career. So I think it's a mixture
7 of being away from regular duty and kind of preparing for
8 transition.

9 **Q.** Okay. Aptly named then. Just one other phrase that
10 was a little bit confusing to me. You were referring earlier to
11 a case manager? And it's my understanding that there was a case
12 manager who was a Canadian Armed Forces case manager. Is that
13 right?

14 **A.** Yes, yes.

15 **Q.** Okay.

16 **A.** So we have several case managers in the clinic who will
17 help members transitioning.

18 **Q.** Okay. And the reason I'm asking that question is
19 because Lionel Desmond also had a VAC case manager. So I just
20 wanted it to be clear that there are, in fact, two case managers.

21 **A.** Yes.

22 **Q.** Okay.

DR. VINOD JOSHI, Cross-Examination by Ms. Grant

1 **THE COURT:** So Ms. Grant, I'm going to ask a question.

2 **MS. GRANT:** Mm-hmm.

3 **THE COURT:** If I might. Dr. Joshi, I've seen it referred
4 to as a "nurse case manager". Is that the same as the CAF case
5 manager that you're referring to or is a nurse case manager
6 somebody different?

7 **A.** So I think a lot of case managers are nurses by
8 qualification. So it might be that they are referring to
9 themselves as nurse case manager. So I think, if I'm correct,
10 many of the case manager colleagues have nursing background.

11 **THE COURT:** All right, thank you.

12 **MS. GRANT:** And just finally, Dr. Joshi, Lionel Desmond
13 was seeing a multidisciplinary team which you've talked about
14 today, and I think you referred to Dr. Rogers as being a very
15 experienced therapist. Is that right?

16 **A.** Yes. I mean at one time she was our senior most
17 psychologist in the clinic and she was clinical lead for a while.
18 So she's very experienced and very respected psychologist.

19 **Q.** So in this sort of area where Lionel Desmond has access
20 to a psychiatrist, psychologist, social worker, addictions
21 counsellor, is this area where you come to access these services,
22 is it sort of like a one-stop shop for someone who is in the CAF?

DR. VINOD JOSHI, Examination by the Court

1 you a question about discussions you may have had with Mr.
2 Desmond in relation to his family and I know that in Exhibit 183
3 there was a comment that he said he had four sisters. One of
4 them is a nurse with whom he has regular contacts. He had very
5 limited contact with the other three sisters. And then he
6 denied any family history of mental illness, suicide, psychosis
7 or addictions. I think that's the recollection that you had of
8 the discussion about his family?

9 **A.** Yes.

10 **Q.** Is that correct?

11 **A.** Yes.

12 **Q.** All right, thank you. You were asked a question and
13 it related to, it was in the context of suicidal ideation.

14 **A.** Mm-hmm.

15 **Q.** And I understood you to say that although you might not
16 ask a question directly, such as, Are you suicidal, but you would
17 have a discussion that would touch on a variety of things and you
18 would look at the answers to see, for instance, if the person was
19 forward thinking? Is that ... did I understand you correctly?

20 **A.** So it will be a combination of various questions. So
21 the interview would go more like a conversational manner. So if
22 someone is saying that, I'm not feeling well, then you would ask

DR. VINOD JOSHI, Examination by the Court

1 very explicit question, that, Are you suicidal? Do you have
2 suicidal thoughts, ideas, any plans? But if someone comes and
3 says they are doing very well and there's no concern and so the
4 intensity of question might be different based on how the
5 interview is processing, what kind of non-verbal cues you are
6 getting. So you would modulate your question depending on the
7 responses you're getting, but it could be a detailed question
8 about suicide or it could be a member could say, I'm doing well.
9 I don't have any suicidal thoughts. And you might move on to
10 some other topic.

11 **Q.** The concept of a person being forward thinking.

12 **A.** Mm-hmm.

13 **Q.** Does that assist you in making some determination as to
14 whether the person might present some suicidal risk, either
15 imminently or into the future if they are, you know, forward
16 looking into that future?

17 **A.** So if someone is giving a reasonably good plan about
18 future, what they plan to do, what they hope to achieve in the
19 near future, then it kind of suggests, along with other
20 information that you have that, you know, they are not looking at
21 ending life or they are maybe thinking about various things that
22 they might want to do in the future. So you will give some

DR. VINOD JOSHI, Examination by the Court

1 weight to that to your decision-making, or your kind of internal
2 understanding of clinical judgment.

3 **Q.** Okay. So I'm going to ask you a question and I'm going
4 to put some facts into my question that I recall here. And I
5 don't know if you are aware of the circumstances leading up to
6 the homicides and the suicide that took place on January the 3rd
7 or not, but generally, the sequence of circumstances that I want
8 to bring to your attention are this. You know that in, I think
9 it was early December 2016, Lionel Desmond had a meeting with a
10 psychiatrist, Dr. Slayter.

11 **A.** Mm-hmm.

12 **(15:40)**

13 **Q.** And Dr. Slayter made certain observations of Cpl.
14 Desmond at that time and wanted to see Cpl. Desmond later in
15 December. And I think it may have been around the 16th or the
16 18th, or maybe a little later, that he gave him an appointment
17 and he missed that appointment.

18 **A.** Mm-hmm.

19 **Q.** It turns out that there was an event at the ... there
20 was a circumstance that required him to be at the school to do
21 ... to look after his daughter, as I recall. He went to the
22 hospital. So he missed that appointment in December.

DR. VINOD JOSHI, Examination by the Court

1 **A.** Mm-hmm.

2 **Q.** Then on New Year's Eve, Mr. Desmond had been out with
3 his wife and others and the vehicle that he was driving went off
4 the road. There was some minor damage to it, if much damage at
5 all. He was home. He became somewhat unconsolable and upset
6 over what had happened and left the house and went to the St.
7 Martha's Hospital, spent the night in the Emergency Department,
8 and I believe that while he was there, among other things, he had
9 his phone and I think a breakdown of the phone logs show that he
10 was on the internet looking at a variety of different things and
11 generally at goods, I guess, as much as anything.

12 He was released the next day and the doctor who released him
13 was confident that he could be released at that time, but one of
14 the things he asked him to do, I believe, was to reschedule the
15 appointment that he had missed with Dr. Slayter, and he indicated
16 that he was going to make an appointment with his therapist as
17 well. He said he would do those two things.

18 The next day, which was January the 3rd he, in fact,
19 rebooked the appointment that he'd missed in December for January
20 the 18th, I believe it was. That was in the afternoon. He went
21 in and did that. He also called his therapist and spoke to his
22 therapist on the phone for about 25 minutes or thereabouts that

DR. VINOD JOSHI, Examination by the Court

1 afternoon as he said he would. And sometime after that - that
2 was also in the afternoon - at 4:00, we know that he went into a
3 gun shop and was in there for about 20 minutes, bought a rifle,
4 ammunition, and by 6:00, everyone was dead.

5 **A.** Mmm.

6 **Q.** So there's some behaviours there that would suggest to
7 me that he was planning on a future up until at least 6:00 when
8 he was in the residence.

9 Now do all those pieces fit together for you?

10 **A.** That's kind of complex question. Certainly, during the
11 time, his involvement with me, I mean, there was ... he never
12 kind of talked about any violent thoughts towards his family
13 members. In fact, he was very concerned about his family members
14 many times.

15 So I think this switch from accessing his clinicians to
16 going to gun shop for buying weapons seems ... it seems like a
17 big shift in his mental thought process. So I mean it's hard to
18 kind of give an impression about what might have been happening
19 at that point.

20 **Q.** Mmm. All right, thank you.

21 Well, here's another question I'm going to ask you and if
22 you don't think you can or if you would rather not venture an

DR. VINOD JOSHI, Examination by the Court

1 answer to it, then I'm going to invite you to tell me that. All
2 right?

3 **A.** Mm-hmm.

4 **Q.** My question comes from an answer that you gave, or an
5 observation that you were making when you were talking about
6 treatment and treatment going to quality of life. And some
7 people may never return to the quality of life that they had
8 before they, in this case, went to war and came back with PTSD
9 and go through treatment regimes. And your comment was that a
10 glass half full may be as good as you get.

11 **A.** Mm-hmm.

12 **Q.** So are there, for some people ... does that mean that
13 for some people that a glass a quarter full is as good as they
14 get? Does it mean for some people a glass one-sixth full is as
15 good as they get? And does it also mean that for some people,
16 the glass will be empty and remain that way?

17 **A.** So I think, I mean glass half full is kind of
18 expression, kind of figure of speech. And in some sense, that
19 would suggest that, you know, some people may not make full
20 recovery, although our goal of treatment might be to help people
21 to make as good recovery as possible, but still there are certain
22 conditions where someone might remain symptomatic and they might

DR. VINOD JOSHI, Examination by the Court

1 be better in some domain of life and they might not be better in
2 some other domains of life. So that would be my kind of
3 explanation or answer.

4 **Q.** All right. Well, as I said, I'm not going to force you
5 into an answer of what a glass empty might look like.

6 So Dr. Joshi, I know that to be here today took time and I
7 know that you spent time being interviewed by counsel and
8 preparing for today. I know you've looked at documents and I
9 know that there's been considerable effort put into your
10 preparation to be able to answer questions and assist us today,
11 and I want to thank you for your time. It's appreciated.

12 **A.** Thank you.

13 **Q.** Thank you.

14 **A.** Thank you.

15 **Q.** We can cut the feed to Dr. Joshi then. Thank you.

16 **WITNESS WITHDREW (15:47 hrs.)**

17 **THE COURT:** Tomorrow we have Dr. Rogers.

18 **MR. MURRAY:** Yes, Your Honour.


19 **THE COURT:** All right. So we'll adjourn for the
20 afternoon and I'm just going to ask counsel to remain for a
21 couple of minutes. Thank you.

22 **COURT CLOSED (15:48 hrs.)**

23

CERTIFICATE OF COURT TRANSCRIBER

I, Margaret Livingstone, Court Transcriber, hereby certify that the foregoing is a true and accurate transcript of the evidence given in this matter, **re Desmond Fatality Inquiry**, taken by way of electronic digital recording.



Margaret Livingstone

(Registration No. 2006-16)

Verbatim Inc.

DARTMOUTH, NOVA SCOTIA**March 14, 2021**